

## FEDERAL COMMUNICATIONS COMMISSION

+ + + + +

INDEPENDENT PANEL REVIEWING THE IMPACT OF HURRICANE  
KATRINA ON COMMUNICATIONS NETWORKS

+ + + + +

MONDAY,  
JANUARY 30, 2006

+ + + + +

The above-entitled matter convened at 10:00 a.m. in the Commission Meeting Room of the Federal Communications Commission, 445 Twelfth Street, S.W., Washington, D.C., Nancy J. Victory, Chair, presiding.

## PANEL MEMBERS PRESENT:

NANCY J. VICTORY, Chair  
CARSON AGNEW, Member  
MICHAEL ANDERSON, Member  
ROBERT G. BAILEY, Member  
KEVIN BEARY, Member  
GREG BICKET, Member  
JOSEPH BOOTH, Member  
STEVE DAVIS, Member  
ROBERT G. DAWSON, Member  
STEPHEN A. DEAN, Member  
STEVE DELAHOUSEY, Member  
DAVE FLESSAS, Member  
MARTIN D. HADFIELD, Member  
JIM O. JACOT, Member  
TONY KENT, Member  
KELLY KIRWAN, Member  
JONATHAN D. LINKOUS, Member  
ADORA OBI NWEZE, Member  
EDUARDO PEÑA, Member  
BILLY PITTS, Member  
MICHAEL SAUTER, Member  
MARION SCOTT, Member  
KAY SEARS, Member  
EDMUND M. SEXTON, SR., Member  
EDWIN D. SMITH, Member  
WILLIAM L. SMITH, Member  
PATRICK YOES, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## FCC PERSONNEL PRESENT:

KEVIN J. MARTIN, FCC Chairman

LISA FOWLKES, Designated Federal Officer

JEAN ANN COLLINS, Alternate Designated Federal  
Officer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

I-N-D-E-X

Opening Remarks - Nancy J. Victory  
 Chair of the Independent Panel ..... 4

Welcome - Kevin J. Martin, Chairman of the  
 FCC, and other Commissioners ..... 8

Announcement of the Panel's Advisory  
 Committee Structure ..... 26

Introduction of Panel Members and  
 Member Statements ..... 95

Next Meeting of the Independent Panel ..... 201

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(10:16 a.m.)

CHAIRPERSON VICTORY: Why don't we get started. We're missing one of our panelists, who has been affected by the weather this morning flying in, and because of fog was diverted to Baltimore, but I understand that he's on the ground and should be joining us, hopefully, within the next 30 to 45 minutes.

Welcome to the first meeting of the FCC Independent Panel Reviewing the Impact of Hurricane Katrina on Communications Networks. My name is Nancy Victory and I'm the Chair of this panel. I'd like to specifically welcome FCC Chairman Kevin Martin, who called for the formation of the Katrina panel. Thank you very much for being here today, and thank you also for the opportunity to serve you, the Commission, and the country in this important endeavor.

Chairman Martin, his staff, and the FCC Bureau staffs worked long and hard during and after Hurricane Katrina, on a 24/7 basis, to assist in the restoration efforts.

I'd also like to recognize the efforts of Commissioners Copps and Adelstein, who were committed to aiding in any way, and visited the affected areas

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 first-hand. They were not able to be here today, but  
2 I believe we're going to be getting taped statements  
3 from them.

4 Additionally, I know that the newest FCC  
5 Commissioner, Commissioner Tate, is very interested in  
6 this issue, as well, and I believe Commissioner Tate  
7 will be providing a taped statement, also.

8 I want to extend a special welcome to my fellow  
9 panelists. I know that just about all of you have  
10 your hands very full dealing with the aftermath of  
11 Hurricane Katrina. We appreciate your agreeing to  
12 lend your experience and expertise to this panel, and  
13 for traveling here today.

14 Last but not least, I'd like to introduce  
15 Lisa Fowlkes and Jean Ann Collins, who are sitting to  
16 my right. These are the designated and alternate  
17 designated federal officers for the panel. They are  
18 responsible for the meeting today, and they will be  
19 assisting the panel throughout its mission.

20 Hurricane Katrina has been one of the most devastating  
21 natural disasters to hit this country. It is  
22 significant not only for the level of destruction it  
23 caused, but also for the extent of the destruction,  
24 over a huge geographic area. And Katrina affected  
25 every corner of the communications sector. Just about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 every service provider, network operator, or  
2 infrastructure on the ground sustained serious damage  
3 and/or disruption from the storm. Hurricane Katrina  
4 will long be remembered for this devastation.

5 The hurricane and its aftermath have shown that we  
6 must be better prepared for disasters in the future.  
7 We must learn lessons from Katrina in order to guard  
8 against what might come next. We must assess the  
9 strength and weaknesses of the communications sector's  
10 preparedness for the storm, identify the impediments  
11 and facilitators of rapid service restoration, and  
12 evaluate whether adequate emergency communications  
13 were available before, during, and after the storm.

14 That is the important task that Chairman  
15 Martin has assigned to this panel, to figure out what  
16 went right and what went wrong, and to make  
17 recommendations to the Commission so that the next  
18 time disaster strikes, the communication sector,  
19 including important public safety participants,  
20 repeats and augments the successes, but avoids the  
21 pitfalls that delayed recovery and hindered critical  
22 emergency communications.

23 I'm pleased to be joined on this panel  
24 today by not only a diverse array of private and  
25 public communication sector participants, but also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with individuals with firsthand knowledge and  
2 expertise of the tremendous impact Hurricane Katrina  
3 had on communications infrastructure and emergency  
4 communications.

5 The experience of the individuals around  
6 this table will not be the only input in developing  
7 the recommendations that Chairman Martin has  
8 requested. This panel will aggressively seek  
9 information and suggestions from other interested and  
10 knowledgeable parties. As I will discuss later this  
11 morning, the panel will be providing several  
12 opportunities for public input, which I strongly urge  
13 interested parties to take advantage of.

14 Further, this panel will be operated in an  
15 open and transparent manner, so that the public can  
16 follow the panel's information-gathering process and  
17 consideration of recommendations.

18 Again, broad public input is the best way  
19 for this panel to develop the most appropriate  
20 recommendations for the Commission. I urge interested  
21 parties to participate, and thus help the panel  
22 members accomplish the important mission that Chairman  
23 Martin has defined for us.

24 With that, let me introduce FCC Chairmen  
25 Kevin Martin to make some opening remarks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Chairman Martin, thanks again for the  
2 opportunity to contribute to this endeavor. You have  
3 the floor.

4 FCC CHAIRMAN MARTIN: Thank you, Nancy,  
5 and thank you all for being here this morning, and  
6 welcome. And I certainly appreciate, and everyone on  
7 the Commission does, you all taking time out of your  
8 busy schedules to volunteer to participate in this  
9 endeavor and try to help us learn from the tragic  
10 experiences last fall, so that we are able to better  
11 identify what we can do to make the communications  
12 networks both more robust and resilient, more easily  
13 capable of being restored, and provide the kind of  
14 communications that we will truly be capable of when  
15 we take advantage of all that technology has to offer.

16 I also do want to thank all my colleagues,  
17 Commissioner Copps and Commissioner Adelstein, who  
18 were supportive in both visiting the region and  
19 supportive in the idea of moving forward this panel  
20 originally.

21 Commissioner Tate has been very supportive  
22 since she has arrived at the Commission, as well. So  
23 while none of them, unfortunately, are here, they are  
24 all on travel today, you can rest assured that they  
25 are very supportive and I think we will hear from all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of them in a few moments, and I want to make sure that  
2 I thank them for their support in this, as well.

3 I do also want to take time to thank Nancy  
4 Victory for her being willing to chair this. We  
5 appreciate it very much, and I know that she spent a  
6 lot of time both over at NTIA, and even back when she  
7 was in private practice, looking at some of the issues  
8 as it relates to Homeland Security, and I think we'll  
9 all benefit from her knowledge and experience in this  
10 area.

11 This is a somewhat unique endeavor. It's  
12 the first time that we're bringing together from all  
13 the sectors of the communications industry, both the  
14 wireline and wireless, broadcast and cable, satellite  
15 and terrestrial service providers, along with the  
16 equipment providers, in one forum, to study the impact  
17 of a disaster and develop recommendations to improve  
18 our response and recovery efforts for the future.

19 In the past, the Commission has had great  
20 success bringing together industry representatives to  
21 study network reliability, security and resiliency,  
22 and we hope to build upon this success by bringing all  
23 of these communications providers together in one  
24 comprehensive forum.

25 This independent panel is unique in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 another way. Not only does it bring together leading  
2 experts from all sectors of the communications  
3 industry, it also brings public safety organizations  
4 directly into the heart of the process.

5           Leading public safety officials will be  
6 working side by side with the industry representatives  
7 to identify the lessons learned and develop  
8 recommendations for improvement.

9           Because emergency response personnel are  
10 on the front lines during a time of crisis, it's very  
11 important that the public safety community has an  
12 opportunity to provide its unfiltered views and  
13 contribute to developing recommendations for improving  
14 communications in the future.

15           I also want to thank the representatives  
16 from the NAACP and LULAC for their participation in  
17 the panel. As we've learned from recent disasters,  
18 community-based input is critical to address issues of  
19 emergency preparedness and response, and there's  
20 already issues that we've been able to identify, which  
21 you can help us try to work on, of making sure that  
22 all the representatives in the community both have  
23 access to and are alerted to the emergencies when they  
24 are coming.

25           Together, we all hope that these experts

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be able to study the impact of Hurricane Katrina,  
2 both on the communications sector and public safety  
3 officials; review the sufficiency and effectiveness of  
4 the recovery effort; and make recommendations to the  
5 Commission on ways to improve disaster preparedness,  
6 network reliability and resiliency, and communications  
7 among emergency responders.

8           The awful damage caused by the worst  
9 natural disaster in the nation's history underscored  
10 the importance of communications networks for  
11 response, relief, and recovery efforts. The work of  
12 the experts gathered here today should help all of us  
13 learn from this terrible experience, so that we will  
14 be better prepared for the next crisis.

15           Because of the importance of this work,  
16 we've asked this independent panel to submit a final  
17 report to the Commission by June, which I know is a  
18 very short timeframe. And I recognize the seriousness  
19 of the task and the demands of making that kind of  
20 recommendation in such a short timeframe, but we all  
21 think that that's really critical for us to then be  
22 able to take the next steps that will be necessary  
23 from the Commission's standpoint.

24           So we appreciate your service, we stand  
25 certainly ready to assist the panel any way that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can, and look forward to working with you closely  
2 between now and June. Thank you all.

3 CHAIRPERSON VICTORY: Thank you, Chairman  
4 Martin.

5 I understand that the other commissioners  
6 have taped remarks. Can we roll those?

7 COMMISSIONER COPPS: (Pre-recorded  
8 Statement). Good morning. This is one meeting I  
9 really wanted to attend, but I'm unable to be with you  
10 this morning because of a commitment made last year to  
11 represent the Commission in a multi-lateral  
12 conference. I wanted to be in Washington to welcome  
13 you, to thank you, and to talk about where you're  
14 headed.

15 So first of all, welcome. We're pleased  
16 you're here. Thank you for agreeing to serve and for  
17 committing to what will no doubt be serious time and  
18 energy on this important effort.

19 As many of you heard me say, nothing  
20 trumps public safety and Homeland Security. We need  
21 to be ready for the next cataclysm, whether its origin  
22 be unbridled nature or murderous terrorists, and I  
23 think most of us agree we have a lot of work still to  
24 do.

25 Restoring the Gulf Coast communications

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 network, all those links torn asunder by the wind and  
2 water of Hurricane Katrina, is as challenging a  
3 communications mission as this nation has ever  
4 confronted. I commend Chairman Martin and so many of  
5 our FCC staff for their tireless efforts to aid  
6 recovery in the storm's immediate aftermath.

7 I also salute the companies for the work  
8 they did. In the days following the storm, companies  
9 that usually compete with one another worked together  
10 in a spirit of mutual help. Intermodal competition  
11 gave way to intermodal cooperation, and it served the  
12 public interest.

13 Now, everyone on this panel is charged  
14 with working together to serve the public interest.  
15 That demands a thorough look, perhaps some very  
16 difficult calls, digging out the facts and making them  
17 known, and letting the chips fall where they may.

18 You must determine, as a group, what  
19 actions are necessary, both short-term and long-term,  
20 to upgrade network reliability, build in systems  
21 redundancy, and enhance the survivability of our  
22 nation's communications systems. What you develop  
23 here will be tremendously relevant when we are face-  
24 to-face with the next ravages of nature or with  
25 additional terrorist attacks. Concrete actions to fix

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our communications systems have been a long time  
2 coming. Too long.

3 We saw the results from communications  
4 failures on 9/11, over four years ago. We saw them  
5 again during the East Coast blackout, and then more  
6 recently with the hurricanes.

7 The plain fact is that we are not as ready  
8 as we need to be for the next big natural or manmade  
9 disaster, and this time, we dare not fail in our  
10 emergency planning efforts.

11 So we're looking to you. At their best,  
12 advisory panels like this one dig with an open mind  
13 into tough issues, identify and face up to the  
14 mistakes or shortfalls that are discovered, and make  
15 real-world and sometimes very tough recommendations to  
16 address them.

17 I expect that when you're through, we will  
18 understand, at a minimum, (1) which parts of the  
19 wireline and wireless networks failed during the  
20 emergency: how long they were down, how many people  
21 were affected, and any ripple affects these failures  
22 had; (2) whether failsafe and backup systems worked:  
23 where and for how long, where they didn't work and why  
24 not, and what alternative technologies or systems  
25 could contribute in a future emergency; (3) the state

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of police, fire, 911, and healthcare communications  
2 systems readiness throughout the emergency: what  
3 worked, what didn't; and (4) the problems various  
4 federal, state, and local responder systems had  
5 talking to each other, and what specific actions must  
6 be undertaken to help these first responders develop  
7 the interoperable networks they need.

8 No doubt, many other questions need to be  
9 asked as you work toward the recommendations you have  
10 been asked to produce.

11 The crux of my message is this: don't shy  
12 away from asking the tough questions and hunting down  
13 the difficult and perhaps unsettling answers. This  
14 cannot be a superficial examination. Go wherever the  
15 facts lead. If you ruffle feathers, so be it. You  
16 may also be the target of heavy lobbying. Resist any  
17 pressures to sweep issues under the carpet. With  
18 lives on the line, it is your job on this panel to be  
19 tough and diligent to get the answers and make the  
20 hard calls.

21 Your panel's work will not only help the  
22 Commission and help industry, it can assist Congress  
23 and help our sister federal agencies, state and local  
24 governments, first responders, and the entire public  
25 safety law enforcement and healthcare provider

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 communities.

2 Two final thoughts. Do what you're going  
3 to do in an open public process. A closed process can  
4 only detract from the credibility that needs to attend  
5 your effort.

6 Second, recognize there is a broad range  
7 of voices out there that are not represented on this  
8 panel; for example, Americans with disabilities. I  
9 urge you to reach out to them and to all those who are  
10 not sitting at your table this morning, but whose  
11 viewpoints are important for your review, and critical  
12 to their future.

13 There are a lot of stakeholders in New  
14 Orleans and all along the Gulf Coast whose lives were  
15 permanently and profoundly transformed by Katrina and  
16 the other storms. They not only deserve to be heard,  
17 they need to be heard, and the extent to which they  
18 are heard is surely going to be one touchstone by  
19 which your fellow citizens judge the success of your  
20 endeavor. You need to be reaching out.

21 Again, thank you for taking on this tough  
22 assignment. You have an incredible amount of work to  
23 do in a very short time, and I expect you are anxious  
24 to begin. So I'll conclude with my best wishes as you  
25 begin your work, and I want each of you to know that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in addition to our Bureau staff, my office and I stand  
2 ready to assist you howsoever we can. Thank you all  
3 very much.

4 COMMISSIONER ADELSTEIN: (Pre-recorded  
5 statement.) Thank you all so much for your  
6 willingness to serve on this blue-ribbon panel. Your  
7 convening today represents a crucial step in the  
8 effort to move forward in the aftermath of a season of  
9 what were really devastating hurricanes.

10 I know you are in able hands, thanks to  
11 Nancy Victory, who so thoughtfully agreed to serve as  
12 your Chair. I really wish I could join you today in  
13 person, but I'm on travel, so I want to thank the  
14 Chairman for convening this group. I think you can  
15 play a key role in improving our nation's disaster  
16 preparedness, improving our network reliability, and  
17 improving communications among first responders.

18 We really need efforts like this to  
19 achieve constant and never-ending improvement, to  
20 protect ourselves in the event of future disasters, be  
21 they natural or manmade.

22 I'll never forget the horrifying images I  
23 witnessed firsthand when we visited the Gulf Coast  
24 shortly after the disasters. The devastation was even  
25 worse than I could have ever imagined, and ever since

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our FCC meeting that we held in Atlanta last September  
2 to the first meeting of this panel today, I'm really  
3 impressed with how well the telecommunications  
4 industry has responded.

5 In Atlanta, we heard it from our panelists  
6 and we saw it in the eyes of hundreds of  
7 communications workers who were laboring around the  
8 clock to restore connectivity to the Gulf Coast. I  
9 also saw it in the eyes of those who lost their homes,  
10 and yet they still came out to work and to help. I  
11 saw how critical it is that we all work closely  
12 together, including the Commission, in times of  
13 crisis.

14 We all understand how critical  
15 telecommunications are, not only for emergency  
16 personnel, but just for regular citizens that are  
17 desperate to find out what's happening to their  
18 families, what's happening to their friends. We need  
19 your help to assess what worked well in Katrina's  
20 aftermath, and more importantly, how we can improve  
21 our preparedness and response.

22 We did well, but we can do even better.  
23 We must do better. We've got to help wireless,  
24 wireline, media, satellite, and public safety, all  
25 better prepare, respond, and recover from an emergency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or from a disaster. We need to find out what  
2 happened. We need to not hesitate from giving the  
3 most critical possible analysis that you can.

4 My trip to the Gulf Coast and my  
5 discussions with so many of you afterwards have helped  
6 me to understand the lessons that we've learned. But  
7 there's much more to learn and a lot more to be done,  
8 a lot of hard questions that yet have to be asked,  
9 about issues such as redundancy, planning, and  
10 reliability and interoperability.

11 So I applaud all of you involved with this  
12 panel for helping us to tackle these issues. I  
13 commend the Chairman, my friend Kevin Martin, and the  
14 FCC staff, for their response to the hurricanes.  
15 Disasters like these demonstrate how important it is  
16 that we all work together in times of crisis.

17 Thank you again for all of your effort and  
18 for all the hard work ahead.

19 COMMISSIONER TATE: (Pre-recorded  
20 Statement.) Welcome to the FCC this morning. I  
21 really wish that I could be with you today, but I'm  
22 glad to be able to extend this personal greeting to  
23 you as you begin this important job, not only for the  
24 FCC, but for our country.

25 When the hurricanes hit the Gulf Coast, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was back home in Tennessee, but like many of you, it  
2 took days to track down close friends and my former  
3 state colleagues. Through them, I was really able to  
4 hear first-hand of the devastation, devastation that  
5 many of you all faced first-hand.

6 Former Commissioner Michael Callahan put  
7 it this way: "I just don't think you understand,  
8 Debbie. There are three towns that have been wiped  
9 off the face of the earth down here." His emotional  
10 statement has stayed with me, and that's why your work  
11 here today is so very crucial.

12 Because the FCC oversees major  
13 infrastructures that are critical to the nation's  
14 ability to respond, whether to natural disasters or  
15 other emergencies, we must continue to learn from  
16 these events and prepare for tomorrow.

17 Just a note in praise of the FCC staff:  
18 when contacted by a carrier to assist following  
19 Hurricane Katrina, I gladly called the FCC offices on  
20 a Friday night, thinking I would merely be leaving a  
21 voicemail, only to discover that the FCC staff was  
22 working around the clock to take immediate action to  
23 assist in any way possible to restore communications  
24 for the public safety operations, for the media, for  
25 business, hospitals, and all type of relief efforts,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and especially for individuals to locate their loved  
2 ones.

3 I send my heartfelt thanks to you, Nancy,  
4 for your leadership, and to each of you, many of whom  
5 I'm worked with in Tennessee, and look forward to  
6 receiving your recommendations, which I hope will  
7 include specifically those who have special needs.

8 Have a very good and productive meeting,  
9 and again, many thanks.

10 CHAIRPERSON VICTORY: I'd like to thank  
11 the Chairman and the Commissioners for their remarks.

12 I'd like to turn next to describing the panel and the  
13 panel structure.

14 Since this is the first meeting of the  
15 panel, I think it's important that we all understand  
16 what our mission is, how the panel is going to tackle  
17 that mission, and what the tentative timeframe is for  
18 doing so.

19 With regard to the panel mission, as laid  
20 out in the panel's charter, and this is in the panel  
21 member packages on the tables here in the Commission  
22 Meeting Room. It's also posted on the panel's  
23 website.

24 FCC Chairman Martin has given this panel a  
25 very defined mission: we are to study the impact of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Hurricane Katrina on all sectors of the  
2 telecommunications and media industries, including  
3 public safety communications; we are to review the  
4 sufficiency and effectiveness of the recovery effort  
5 with respect to this infrastructure; and we are to  
6 make recommendations to the Federal Communications  
7 Commission regarding ways to improve disaster  
8 preparedness, network reliability, and communications  
9 among first responders such as police, firefighters,  
10 and emergency medical personnel.

11 I want to emphasize that this is a very  
12 defined inquiry that is specific to Hurricane Katrina  
13 and its aftermath. I want to stress this both to the  
14 panel and to interested members of the public who may  
15 be making written and oral submissions to the panel.  
16 However, based upon what the panel learns from  
17 studying the lessons of Hurricane Katrina, we will be  
18 making recommendations to enable better preparedness  
19 and faster and smoother recovery for future incidents.

20 Now, importantly, these recommendations  
21 are due to the Commission no later than June 15 of  
22 this year, so we have got five months. This is going  
23 to be a very intensive effort for those of you around  
24 the table.

25 I want to stress that this is a panel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 formed under and operated pursuant to the Federal  
2 Advisory Committee Act. As such, the panel will  
3 conduct itself in an open and transparent manner.  
4 Specifically, all of the meetings of the panel will be  
5 public, and prior public notice of these meetings will  
6 be provided.

7 Information submitted for the panel's  
8 consideration will be made publicly available, and  
9 draft reports and recommendations for the panel's  
10 consideration will also be made publicly available.

11 Now as I emphasized in my opening remarks,  
12 the current experiences and knowledge of the panel  
13 members around this table will not constitute the sum  
14 total of the information to be considered in  
15 completing the panel's mission. Hopefully, it will  
16 comprise only a small portion of the information  
17 reviewed and considered in developing recommendations  
18 to the Commission.

19 As already indicated on the panel's  
20 website, the panel is receptive to and encourages  
21 written submissions from interested members of the  
22 public. I strongly encourage all interested parties  
23 to submit written materials. Full participation of  
24 interested parties is the best way for the panel to  
25 become fully informed so it can make the most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 appropriate recommendations to the Commission.

2 As indicated on the website, written  
3 statements from the public should be submitted by  
4 email to Lisa Fowlkes, the designated federal officer,  
5 at [lisa.fowlkes@fcc.gov](mailto:lisa.fowlkes@fcc.gov), or to Jean Ann Collins, the  
6 alternate designated federal officer, at  
7 [jeanann.collins@fcc.gov](mailto:jeanann.collins@fcc.gov).

8 Submitted written statements will  
9 generally be posted on the panel's website, made  
10 available in the FCC's reference room, and distributed  
11 to the panel members for consideration. These written  
12 statements may be submitted any time, but of course,  
13 earlier in the process is always much more helpful to  
14 the panel members.

15 And I want to underscore that the written  
16 statements should be consistent with the panel's  
17 mission. If they are not germane to the panel's  
18 mission, they may not be considered.

19 The panel also plans to provide an  
20 opportunity for interested parties to make oral  
21 presentations to the panel. These oral presentations  
22 are to occur at the panel's next meeting, which is to  
23 be scheduled for early March, and we will be  
24 announcing the specific dates and location as soon as  
25 possible. I think it's the hope of the panel that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can actually hold this meeting closer to the affected  
2 area and outside of Washington, D.C. I anticipate  
3 this will probably be a two-day meeting.

4 Given the finite time available for the  
5 meeting and the panel's desire to maximize coverage of  
6 the relevant issues and diversity of viewpoint, we  
7 will be requiring that entities interested in making  
8 an oral presentation submit a request to do so in  
9 advance of the meeting, and this request should also  
10 be submitted in writing to Lisa Fowlkes or Jean Ann  
11 Collins by email.

12 Now these requests should include the name  
13 of the person who would give the oral presentation and  
14 the name of the company or organization that person is  
15 representing, a description of the nature of the  
16 presentation, and, if available, a bio of the  
17 presenter. Requests to deliver an oral submission  
18 must be received by the designated federal officer no  
19 later than February 17 in order to be considered.  
20 This process for requesting an opportunity to submit  
21 an oral presentation will be posted on the panel's  
22 website.

23 I want to emphasize that the panel desires  
24 to hear from a variety of viewpoints on these issues.

25 To the extent that there is an issue of particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 interest to the panel, the panel may solicit persons  
2 with expertise on the issue to provide presentations  
3 at our next meeting.

4 We will notify those selected to provide  
5 presentations and provide additional information  
6 regarding the length of the presentations as promptly  
7 as possible after receiving your request. And to  
8 ensure that the panel receives as many presentations  
9 as possible during our next meeting, we're going to be  
10 asking that presenters limit their presentations to  
11 five to ten minutes each. And also, potential  
12 presenters should be advised that the panel members  
13 may ask questions.

14 As far as the panel's advisory committee  
15 structures, like most federal advisory committees,  
16 this panel will have informal working groups made up  
17 of small numbers of panel members to help it  
18 effectively review and process the necessary  
19 information within the time required.

20 I want to emphasize, these working groups  
21 are not decision-making bodies. Rather, they will be  
22 compiling and sorting information in particular issue  
23 areas for presentation to the full panel.

24 The panel plans to have three informal  
25 working groups. The first, Informal Working Group 1,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be focused on infrastructure resiliency. This  
2 panel will focus on such issues as how and why certain  
3 portions of the communications network failed; which  
4 portions of the communications network continued to  
5 work and withstood the hurricane and why; how  
6 communications technology can be made less vulnerable  
7 to failing; and what steps can be taken pre-event to  
8 strengthen the communications infrastructure.

9 I'm pleased to announce that Marion Scott  
10 of CenturyTel has agreed to serve as the chair of this  
11 panel, and Steve Dean, the Fire Chief of Mobile, has  
12 agreed to serve as vice-chair.

13 Informal Working Group 2 is going to focus  
14 on recovery coordination and procedures. This panel  
15 will focus on such issues as ways to increase the  
16 speed with which communications can be restored post-  
17 event; whether communications technology could have  
18 been used more effectively during the recovery period,  
19 including issues related to consumer education and  
20 post-event deployment of communications technology;  
21 the intra-industry procedures that communications  
22 providers use to coordinate recovery efforts; the  
23 industry government procedures that private  
24 communications firms and federal, state, and local  
25 governments use to coordinate recovery efforts; ways

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that private industry can obtain faster and more  
2 efficient access to impacted areas; the security and  
3 protection procedures utilized by private  
4 communications industry members when they first send  
5 their first responders to impacted areas; and how well  
6 emergency communications services, including  
7 telecommunication service priority, government  
8 emergency telecommunications service, and wireless  
9 priority access performed during Katrina and review  
10 the extent to which emergency responders use those  
11 services.

12 I'm pleased to announce that Steve Davis  
13 of Clear Channel Radio has agreed to serve as the  
14 chair of this panel, and Joey Booth, Deputy  
15 Superintendent of Louisiana State Police, has agreed  
16 to serve as vice-chair.

17 The final informal working group, Working  
18 Group 3, will focus on emergency communications. This  
19 panel will consider such issues as identifying the  
20 means for insuring or enabling rapid deployment of  
21 interoperable communications in the wake of an event  
22 like Hurricane Katrina that can be implemented in the  
23 short term; identify any coordination that needs to  
24 occur among public safety entities to facilitate  
25 implementation of such a system in the wake of a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 disaster; review Hurricane Katrina's impact on the  
2 Gulf Coast regional 911 and E-911 system; review the  
3 impact on public safety answering points and the  
4 procedures used to re-route emergency calls; examine  
5 whether and how the communications network could have  
6 provided greater 911 connectivity for private  
7 citizens; review the adequacy of emergency  
8 communications to the public before, during, and after  
9 the hurricane; and examine the best ways to alert and  
10 inform the public about emergencies in the future.

11 And I'm pleased to announce that Steve  
12 Delahousey of American Medical Response has agreed to  
13 serve as chair of this panel, and Jim Jacot of  
14 Cingular has agreed to serve as vice-chair.

15 These informal working groups will be  
16 critical to the success of the panel, and I want to  
17 thank the panel members who have agreed to serve as  
18 chair or vice-chair. I'm going to ask that the six of  
19 you meet with me at noon, when we take our break, to  
20 meet a little bit on the procedures for conducting how  
21 the working groups are going to work. I believe some  
22 members from the FCC's General Counsel's Office will  
23 join us for that brief meeting.

24 As far as the tentative timeframe goes,  
25 today is January 30, 2006. In order to be in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 position to make recommendations to the Commission by  
2 or before June 15, this panel should strive to adhere  
3 to the following schedule.

4 In early February, the working groups will  
5 begin meeting to identify the facts to be gathered,  
6 the issues to be explored, the experts to talk to with  
7 respect to working group issue areas.

8 In early March, we will have the second  
9 meeting of the panel, to gather information from  
10 interested parties and experts through oral testimony.

11 Late March and early April, the working groups will  
12 continue to meet, probably telephonically, to organize  
13 facts regarding what happened during Hurricane Katrina  
14 and its aftermath, identify areas for recommendations,  
15 and begin formulating draft recommendations for the  
16 panel's consideration.

17 In late April, I hope we will have the  
18 third meeting of the panel, where the working groups  
19 will present draft findings, potential areas for  
20 recommendations, and any draft recommendations thus  
21 far developed for discussion and input by the full  
22 panel.

23 Throughout May, the working groups will  
24 continue to meet to revise and augment findings and to  
25 develop draft recommendations, and in early June, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will have our fourth and hopefully last meeting of the  
2 panel, where the panel will consider, discuss, and  
3 adopt the draft recommendations. That will allow us,  
4 by or before June 15, to forward our recommendations  
5 to the Federal Communications Commission.

6 Any questions at this point from the panel  
7 on the schedule, and I will make sure that is  
8 distributed to all the panel members for your  
9 information.

10 With that, let me introduce the other  
11 members of the panel. I believe each will make an  
12 opening statement, providing their perspective on the  
13 impact of Hurricane Katrina on communications  
14 networks, and identifying some of the issues for the  
15 panel to follow up on.

16 Let me remind the panelists that they  
17 should limit their remarks to more than ten minutes,  
18 and we're going to go alphabetically this way, so I'll  
19 be introducing you before each of your remarks.

20 Let me start with Carson Agnew, Executive  
21 Vice President of Mobile Satellite Ventures, L.P.

22 MR. AGNEW: Good morning, Madam Chairman  
23 and esteemed colleagues. I have submitted some  
24 written statement, and I am going to read a part of it  
25 today, but not the whole thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           As Nancy said, I'm Carson Agnew. I'm an  
2 executive vice president at Mobile Satellite Ventures.  
3       We're a mobile satellite provider that was directly  
4 participating in the relief efforts after Katrina.  
5 I'd like to say, to begin, what an honor it is to  
6 participate in this panel, and how much I applaud  
7 Chairman and the others for convening the group. I  
8 hope our output helps to move forward the public  
9 policy debate on how to improve communications in  
10 times of national emergencies.

11           To understand the impact of Hurricane  
12 Katrina on the satellite industry, you need to  
13 understand that most of our infrastructure is  
14 invisible to the user. The satellites are thousands  
15 of kilometers away in space. The gateway route  
16 stations that connect with the public or private  
17 networks are located in various places around the  
18 country. Usually, a satellite can communicate with  
19 more than one gateway, and a gateway communicates with  
20 more than one satellite.

21           As a result, if you were to ask what  
22 happened to our infrastructure as a result of  
23 Hurricane Katrina, the short answer would be nothing.

24       The satellites kept right on communicating with the  
25 gateways. The communications, as far as I know, all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the voice, data, and two-way radio carried on  
2 without destruction.

3 Of course, we had much higher traffic  
4 volumes than normal. In our case, daily call  
5 attempts, call volumes, packet data usage, were up  
6 about four-fold on a daily basis. Other operators,  
7 such as Global Star, Iridium, and Inmarsat, also  
8 reported big jumps in traffic, and as far I know, all  
9 of networks had nominal performance, nevertheless.

10 As an aside, that's exactly what you want.

11 You don't want your operational guy running down the  
12 hall with his hair on fire, telling you the network is  
13 damaged. You want it to work.

14 The picture was not as rosy where users  
15 were located. Land-mobile satellite terminals are, by  
16 nature, portable. Some are hand-held phones, other  
17 are briefcase-sized units that can carry voice or can  
18 send data. Sometimes, the antennas mount around the  
19 vehicle, and the unit draws its power from the  
20 vehicle's electrical system.

21 At other times, the terminals operate from  
22 batteries. However, they're not as easy to use as an  
23 ordinary telephone, and some users had trouble using  
24 the equipment, especially at first. Some people were  
25 out of practice. Others were unfamiliar with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment's use. We actually saw help desk calls peak  
2 as the storm made landfall, much more than we did our  
3 own traffic. We handled that as we had in the past  
4 with other hurricanes, because we had extra help desk  
5 staff on, beginning about two days before the storm  
6 made landfall.

7 Also, many satellite terminals today are  
8 only used when other networks fail completely, and are  
9 stored until needed. Sometimes, the equipment meant  
10 for backup wasn't properly stored. For example,  
11 batteries weren't fully charged. Additional  
12 batteries, or a means of re-charging them, wasn't  
13 available.

14 In spite of this, the usage data I  
15 mentioned earlier shows that satellites were heavily  
16 used during and after landfall. A review of our own  
17 records shows that the use extended beyond emergency  
18 services, as usually defined.

19 Not only were first responders involved,  
20 they were the largest user. We also had high usage  
21 from local utilities, local governments, the media.  
22 Oil and gas industry was heavily involved.

23 In terms of issues that we encountered, I  
24 think the biggest one involved equipment. Unlike some  
25 other hurricanes, the infrastructure was down for an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 extended period and therefore, many agencies ordered  
2 additional equipment after the emergency started.

3 I don't have a complete count, but it's  
4 clear that collectively, the mobile-satellite industry  
5 alone supplied tens of thousands of terminals to users  
6 in the affected area, and two weeks later, with  
7 Hurricane Rita.

8 Our biggest problem was moving equipment  
9 when the modes of transportation we normally use are  
10 unavailable. As businesses, we use commercial  
11 carriers. Quite apart from being unable to operate in  
12 the area affected by the hurricane, many were shut  
13 down for the Labor Day holiday. Several companies,  
14 including ours, had to clear equipment through  
15 customs, also not an easy thing to do during a  
16 holiday.

17 It took ingenuity and perseverance to make  
18 sure that equipment got to those who needed it in  
19 spite of all this. As we did after 9/11, when state,  
20 local, or federal government officials asked for  
21 satellite phones, we just shipped them without waiting  
22 for the paperwork, and we followed up with free  
23 service to critical state and first responders.

24 I think I speak for everyone in the  
25 industry when I say how proud I am of the people who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 worked the long hours and found creative ways to  
2 enable that all our customers to receive reliable  
3 communication service. Nevertheless, as we all know,  
4 Hurricane Katrina was an extraordinary catastrophe and  
5 as such, it revealed problems that remain masked  
6 unless dire emergencies.

7 We can and we must learn from this  
8 unintended experiment, and I look forward to working  
9 with the panel on that. Thank you.

10 CHAIRPERSON VICTORY: We're going to turn  
11 next to Michael Anderson, the chairman of PART-15.org.

12 MR. ANDERSON: Good morning. Good  
13 morning, Mr. Chairman and distinguished members of the  
14 Commission, along with the fellow members of the  
15 panels and the guests. My name's Michael Anderson,  
16 and I serve as the chair of PART-15.org, which is a  
17 vendor and technology neutral wireless internet  
18 service providers' organization. There's  
19 approximately 8,000 of us across the U.S. right now  
20 providing broadband, wirelessly, through the license-  
21 exempt rules of the FCC, mostly in rural America. We  
22 are downtowns, but most of it's in the rural areas.

23 PART-15 first began our relief efforts  
24 after receiving information and distress calls from  
25 fellow WISPs down in the affected areas. We also were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 invited to attend a conference call that the FCC had,  
2 I think, the day after the hurricane hit, and it was  
3 agreed during the conference call -- many industry  
4 providers, Intel, Microsoft, Motorola, Cisco, all the  
5 major players were on that conference call, to my  
6 knowledge.

7 And it was agreed that PART-15, an  
8 industry organization, neutral to all technologies and  
9 manufacturers and services, funnel a lot of the  
10 industry's relief efforts to the FCC. So PART-15  
11 graciously accepted that offer of assistance. I'm not  
12 going to read this whole thing. It's going to be made  
13 available on the FCC's website, I believe.

14 Some of the key points that I'd like to  
15 verbally express out of the whole report here is  
16 within 48 hours of being asked to help by the FCC, we  
17 established an ad-hoc emergency communication system  
18 that worked really well. We had two websites going at  
19 the same time. One was for volunteers, and we had  
20 thousands of people volunteering -- communications  
21 technicians, RF engineers, things of that nature --  
22 all volunteering their services and/or equipment.

23 We had manufacturers, Vonage, Cisco,  
24 Motorola, lots of equipment coming in that was readily  
25 available and was soon thereafter shipped to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 south. I'm based in Chicago, so I say the south.

2 Volunteers, equipment, generators, and  
3 everything self-supporting that the guys needed were  
4 sent down there with a plan to assist the first  
5 responders and emergency personnel with any type of  
6 communications that they needed.

7 Our services that we can offer are voice,  
8 video, data, the whole realm of communications. We  
9 can do this from as far away more than 100 miles. For  
10 example, one of the back-hall links that we used to  
11 provide broadband to downtown New Orleans area was  
12 brought in all the way from Baton Rouge, and it was  
13 sufficient enough bandwidth to provide 1,000 voice  
14 calls all at the same time.

15 So we have some good capabilities that we  
16 produced. The technologies of the WISPs include  
17 WiMAX, mesh networking, high-speed long-range, point-  
18 to-point and point-to-multipoint links, Wi-Fi --  
19 Vonage donated 500 Wi-Fi phones, so once we got the  
20 wireless back up and running in downtown New Orleans,  
21 which was only a day or two after the hurricane hit,  
22 we were able to provide 500 police officers, emergency  
23 responders, medical personnel, with Wi-Fi phones that  
24 they could use to interconnect to the internet or make  
25 phone calls amongst themselves through the voice-over-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 IP technologies.

2 Presently, our services from the volunteer  
3 forces from the industry, are providing all types of  
4 communications -- voice, video, and data, to over 400  
5 different locations, from Rayville, Louisiana to  
6 Leyman (phonetic) -- I'm probably saying that wrong --  
7 Lyman (phonetic) -- Biloxi, Pass Christian,  
8 Mississippi, New Orleans, and all along the coast  
9 there. We're providing the communications support to  
10 municipalities, emergency responders such as police,  
11 fire, medical personnel, shelters -- regardless of  
12 size.

13 Most of our shelters actually were ad hoc  
14 popup shelters, people fleeing the downtown New  
15 Orleans area and the southern coast area, heading  
16 north, just could tired and couldn't travel any  
17 farther, so they stopped along the way at local  
18 churches or things like that, and they became mini  
19 tent cities that weren't really on anybody's radar.

20 FEMA didn't know they existed, because  
21 they just popped up that night, and things of that  
22 nature. But the local WISPs in the area were able to  
23 contact us and we provided the systems to those guys.

24 Most of this happened all within 24 to 72 hours upon  
25 arrival of our volunteers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Some of the things that I'm hoping that  
2 this panel will address is some of the focus should  
3 be, hopefully, on non-traditional means of  
4 communications. I'm probably sitting here as the only  
5 non-traditional form of communications. Everybody  
6 else is satellite, the hardwire guys, and other means.  
7 Those are the traditional ways, but the non-  
8 traditional methods have proven to be very useful in  
9 situations like this.

10           Most of our issues that we had in  
11 providing the volunteer assistance that we had was --  
12 most of it was just a basic education and lack of  
13 understanding of who we were and what we could do to  
14 help. Not being on anybody's radar and being non-  
15 traditional, most people didn't really realize the  
16 help we could provide them and therefore, didn't ask  
17 for it or wasn't sure of its true capabilities.

18           Finally, I'd just like to thank the  
19 Commission and, specifically, some of the personnel at  
20 the FCC. I remember calling the FCC during the first  
21 couple days -- 9:00 on a Saturday night, and the  
22 phones were being answered, and they were in a meeting  
23 running to FEMA and ARC's headquarters here in  
24 Washington and needed information from me or something  
25 like that, so they worked 24/7, and I really applaud

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 everything that they did. It was a lot. Thank you.

2 CHAIRPERSON VICTORY: Thank you. We turn  
3 next to Gil Bailey, Telecommunications Manager of  
4 Harrison County Emergency Communications Commission.

5 MR. BAILEY: Thank you, Madame Chairman.  
6 First of all, I'd like to thank you for the  
7 opportunity to serve on this distinguished panel and  
8 to represent the public safety answering points along  
9 the Mississippi Gulf Coast, not only through our  
10 Commission, but also through national NENA.

11 During the early morning hours of  
12 August 29, 2005, Hurricane Katrina, the worst natural  
13 disaster to ever occur in the history of our country,  
14 was announcing its arrival on the Mississippi Gulf  
15 Coast.

16 Katrina would bring hours and hours of  
17 135, 150 mile an hour winds, and tidal surges of over  
18 35 feet to our communities. This combination punch  
19 was about to wreak havoc on many of the 911,  
20 telephone, cellular, and public safety radio systems  
21 that served our citizens in Hancock, Harrison, and  
22 Jackson Counties in South Mississippi.

23 The impact in Hancock County, which  
24 borders our sister state of Louisiana, was  
25 catastrophic. The 911 PSAPs, located at the Hancock

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 County Sheriff's Department and Waveland Police  
2 Department, were totally flooded, destroying their  
3 911, telephone, and public safety radio systems.

4 The Bay St. Louis Police Department, while  
5 not flooded, received extensive structural damage,  
6 once again destroying 911, telephone, and public  
7 safety radio systems. The Hancock County Emergency  
8 Operations Center, which would normally serve as a  
9 backup for these affected PSAPs, was also flooded and  
10 totally unusable.

11 In addition to destroying the two PSAPs,  
12 the flooding also rendered useless numerous switches  
13 belonging to Bell South, the local telco provider, in  
14 addition to cellular and public safety radio tower  
15 sites.

16 This resulted in a very limited short-  
17 distance point-to-point ability of radio  
18 communications, no interoperability, no 911, no  
19 telephone service, and very limited cellular service,  
20 which was supplemented by a single satellite phone  
21 that was salvaged from the UOC.

22 This situation continued until  
23 September 1, when members of the Florida Department of  
24 Law Enforcement Telecommunications Team arrived with a  
25 communications trailer and began establishing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 temporary radio sites, and a military communications  
2 unit arrived to provide telephone connectivity via  
3 military satellite link.

4 It was not until September 19 that 911 and  
5 wireline telephone service was re-established at a  
6 temporary consolidated public safety answering point.

7 On the eastern end of the Gulf Coast, in  
8 Jackson County, which borders or sister state of  
9 Alabama, the situation was almost as bad. Once again,  
10 this tremendous tidal surge took its toll as it  
11 flooded the Jackson County Sheriff's Department PSAP.

12 The 800-megahertz public safety radio site adjacent  
13 to the emergency operations center was also flooded.

14 As in Hancock County, the 911  
15 infrastructure took a tremendous hit and one by one,  
16 the PSAPs at Moss Point, Pascagoula, Gautier, and  
17 Ocean Springs went offline. The 911 service would  
18 return to normal operation after a period of one week,  
19 following the repair of infrastructure and the  
20 re-routing of services to the affected PSAPs and while  
21 the response by the 911 service provider was  
22 immediate, unfortunately, the frequent boring through  
23 of the fiber optic cables by utility crews replacing  
24 broken utility poles -- at the very least, was  
25 extremely frustrating, and resulted in no Sailor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 service for a period of over two days.

2 The 800-megahertz public safety trunk  
3 radio system utilized by numerous local public safety  
4 agencies in Jackson County, reverted to a fail-safe  
5 mode as the microwave connectivity was lost between  
6 the various sites.

7 This fail-safe mode resulted in the system  
8 losing its trunking ability and causing all users to  
9 revert to a single repeater, resulting in a party  
10 line.

11 The loss of the radio system's ability to  
12 properly trunk resulted in an extremely congested  
13 single frequency until the afternoon of August 30,  
14 when technicians were able to return the system to a  
15 trucking mode.

16 While faring slightly better than its  
17 neighbors to the east and west, Harrison County was  
18 not spared the wrath of Katrina. Due to building  
19 structural concerns and proximity of the Gulf of  
20 Mexico, two PSAPs relocated to alternate locations  
21 prior to the storm's arrival.

22 The City of Biloxi PSAP was relocated to  
23 the Biloxi Emergency Operations Center, where backup  
24 911 administrative telephone lines and desktop radio  
25 consoles had previously been activated.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The City of Gulfport PSAP was also  
2           relocated inland, due to its proximity to the Gulf of  
3           Mexico.     Once again, backup 911 administrative  
4           telephone lines and desktop radio consoles were  
5           activated at this alternate location.     The primary  
6           PSAPs located at the Harrison County Sheriff's  
7           Department and Long Beach Police Department remained  
8           operational in their normal facilities.

9           The city of Pass Christian, Mississippi,  
10          located in the western section of Harrison County, was  
11          not as fortunate as the other PSAPs.     The Pass  
12          Christian PSAP was evacuated just prior to Katrina's  
13          arrival, and the 911 and administrative phone lines  
14          were rerouted to a designated backup PSAP.     The same  
15          PSAP also assumed control of all police and fire  
16          dispatch operations for the City of Pass Christian.

17          The resulting tidal surge totally  
18          destroyed the Pass Christian PSAP, along with all  
19          radio, 911, and telephone equipment.     Even though  
20          their PSAP had been totally destroyed, a temporary  
21          dispatch center, with desktop radio consoles, cellular  
22          phones, and countywide interoperability was  
23          re-established by noon on August 30.

24          When 911 service was disrupted by damage  
25          to the local telephone infrastructure, the PSAPs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 continued to receive both wireline and cellular 911  
2 calls throughout the storm.

3           Sadly, this good fortune soon passed. As  
4 the batteries and the telephone switches began to run  
5 down, the switches started failing. It was not until  
6 generators were placed at these switches that 911 and  
7 telephone service began to come back online to many of  
8 the PSAPs.

9           The Macon EDAX 800 megahertz trunk radio  
10 system, operated by the Harrison County Emergency  
11 Communications Commission, which was utilized by all  
12 local public safety first responders in Harrison  
13 County, performed extremely well before, during, and  
14 after the storm. The temporary loss of one site due  
15 to a microwave dish being blown out of alignment, was  
16 resolved by noon on August 30, returning the system to  
17 full operational capacity in less than 25 hours.

18           Upon the arrival of the Florida Department  
19 of Law Enforcement Communications Response Team and an  
20 analysis of the current state of communications  
21 capabilities in the three coastal counties, it was  
22 determined that the Harrison County Radio System,  
23 which served as the initial backbone for the  
24 coordination of the Department Communications  
25 Resources within Harrison, Hancock, and Jackson

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 County.

2 The large capacity and single center  
3 operability capabilities of the Harrison County system  
4 allowed over 800 additional public safety users to be  
5 placed on the system during the two weeks following  
6 the arrival of Katrina. These additional users were  
7 provided seamless, direct communications with all  
8 public safety first responders operating within  
9 Harrison County, including local, state, and federal  
10 agencies.

11 Even with over 3,850 radios operating on  
12 the system, it easily handled over 4,000,000 push-to-  
13 talk requests during the month of September. This is  
14 four times the normal activity of the system that it  
15 sees on a monthly basis.

16 Even though the wireline, cellular, and  
17 radio providers had prepared for the storm, the sheer  
18 size of the devastation was overwhelming to everyone.

19 The total destruction of a telephone switch is not  
20 easily resolved. It impacts landline, cellular,  
21 radio, and even internet services.

22 The following list is just a few  
23 suggestions of items that hopefully, we can review,  
24 improve on, and assist us in resolving the many issues  
25 that all of us face.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           One of the most important is to identify  
2 all the critical communication networks and provide  
3 the generator and backup support they need prior to  
4 the arrival of the storm. Pre-approval of diversified  
5 routing of services, particularly for 911. The  
6 current FCC restriction preventing pre-configuring the  
7 re-routing of 911 data across LATAs, or local access  
8 transport areas, at times resulted in delays in  
9 restoring some of the 911 services. We did get an  
10 immediate approval, but we did go through the approval  
11 process.

12           The lack of knowledge of membership by  
13 many agencies to the telephone services priority,  
14 government emergency communications service, and  
15 wireless priority access, hampered them in receiving  
16 adequate responses by some of the providers.

17           The establishment of a comprehensive  
18 local, state, and federal emergency communications  
19 response plan. This will allow the standardization of  
20 an emergency response communication system nationwide.

21           The establishment and equipping by the  
22 telecommunications industry, Office of Homeland  
23 Security, FEMA, of these communications response teams  
24 composed of public safety, 911, telephone, cellular,  
25 and internet specialists to respond with equipment to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 disaster sites and assist the affected areas.

2 The ability to more easily utilize the  
3 communications resources of our military in the  
4 civilian environment.

5 And finally, to utilize the resources of  
6 NENA, APCO, the telephone providers, wireless  
7 providers, state emergency management, and FEMA to  
8 develop a comprehensive communications preparedness  
9 package for all of our local communities.

10 Madame Chairman, once again I'm honored to  
11 have been selected to serve on this panel, and I look  
12 forward to working with yourself and all the members  
13 of this panel to come to a successful recommendation.

14 Thank you.

15 CHAIRPERSON VICTORY: Let me turn next to  
16 Kevin Beary, the Sheriff of Orange County, Florida.

17 MR. BEARY: Thank you, Madame Chairman.  
18 Thank you for the opportunity to serve on this panel,  
19 also.

20 First of all, I'd like to recognize the  
21 fact that I was honored to be selected by the Major  
22 Counties Sheriffs' Association, and I'm also the task  
23 force leader for the Florida Sheriffs, and we deployed  
24 over 700 individuals to Mississippi, and that's where  
25 I met Gil, and we were part of that deployment with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Florida Department of Law Enforcement.

2 Folks, you might say that Florida has  
3 learned some lessons, because we've had eight  
4 hurricanes hit our state in 15 months. So I can tell  
5 you that people plan for a disaster, but ladies and  
6 gentlemen, Katrina was a catastrophe.

7 In Florida, we dealt with wind-related  
8 damage. In Katrina, total communication equipment  
9 rooms were shut down because they were flooded, which  
10 means that we need to take a look at how we build our  
11 infrastructure. In Florida, we need to make sure it's  
12 not near the coast, as does Mississippi, Alabama,  
13 Louisiana, Texas, and in the mid-Atlantic States and  
14 the like.

15 We also might need to take a look at  
16 regional systems, in other words, get our egos out of  
17 the closet, folks, and we all come together, cities and  
18 counties, and establish regional command posts that  
19 are inland to take care of the problem, and then  
20 everybody would be properly trained in the backup  
21 system.

22 And ladies and gentlemen, I can tell you  
23 that before you have interoperability in a situation  
24 like we saw in Mississippi, you have to have  
25 operability. So this is where some of our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 communications partners can come into play.

2 We need cellular systems on wheels. For  
3 lack of a better term, we called it COWS -- cellular  
4 system on wheels. We also need public safety system  
5 on wheels, and you bring in the whole system: towers,  
6 telephones, public communication radios, and folks if  
7 I could, I'm going to be pretty blunt, because that's  
8 just who I am, it can't be seven days later. It needs  
9 to be immediate.

10 So you're going to have to -- if we do  
11 something like this, it needs to be done by a  
12 government agency, or somebody that says they're going  
13 to get it done, and then they need to get it done.  
14 And like you said, Gil, with those cell systems on  
15 wheels, as well as the public safety communications on  
16 wheels, let's get the licensing done prior to, so we  
17 don't have to go through that hassle, and let's make  
18 sure it's a truly mobile environment.

19 I will tell you that planning is critical  
20 in a communications response both statewide and  
21 nationwide, and one way you can -- especially the FCC  
22 can overlook this -- if you are going to be funding  
23 federal grants to local and state governments, then  
24 they need to play by the requirements, and maybe some  
25 of the things that this Commission is going to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talking about.

2 Some of the problems that over 700 Florida  
3 deputies encountered -- as I said before, this was  
4 more of an infrastructure issue than an  
5 interoperability issue because infrastructure was  
6 totally destroyed. There was no cell service for  
7 approximately seven days in the western part of the  
8 state, and I was in Hancock County.

9 So you had limited service up in your  
10 county, Gil, but it's pretty hard to be in Hancock  
11 County, deployed, and then you have to drive up to  
12 Interstate 10 so you can get a little cell service and  
13 then come back.

14 Satellite phones were hit and miss. The  
15 first four days after landfall, the radio range was  
16 less than three miles, and once the Florida  
17 communications equipment arrived, it increased to  
18 about five miles.

19 As I said, some recommendations: portable  
20 communication systems; both telephone and public  
21 safety radio; kind of in a regional cache for  
22 immediate deployment. I've already made a mention  
23 that police and fire communications cannot be built  
24 near the Gulf or an ocean, it must be built inland.  
25 Take a look at regional capabilities, regional assets

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for immediate deployment, and I've talked to President  
2 Ted Sexton from the National Sheriffs' Association,  
3 who will speak later.

4 Folks, I believe pre-storm, even in the  
5 communications and law enforcement field, you have to  
6 have pre-trained people from the National Sheriffs'  
7 Association, major city police chiefs and major county  
8 sheriffs, as well as the other disciplines, trained in  
9 a command post environment, and they need to be at the  
10 Department of Homeland Security Command Post, so that  
11 you can deploy the necessary elements to go in there  
12 and help relieve people in a timely, orderly fashion,  
13 because some of the things that hindered  
14 communications was the fact that we had people pre-  
15 deploying, by themselves, without any authorization,  
16 and then they were taking the gasoline, the aviation  
17 fuel, and things like that, which hampered the  
18 recovery operation.

19 So having these specially trained law  
20 enforcement command post managers would help  
21 facilitate this, not only pre-storm, but after the  
22 storm. And one other thing we found, once  
23 communications was established, people need to use it.  
24 They need to inform the command post what is going  
25 on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           We worked with a body recovery unit and  
2 had to set up a temporary morgue. We gave five radios  
3 to this particular unit, and they chose not to tell us  
4 anything. So I think another thing that needs to be  
5 done is, folks, we need to put, again, egos aside.

6           It doesn't matter if you're federal,  
7 state, or local government, you all better have  
8 patience and you all better work as a team, because  
9 that's the only way it's going to get done. And with  
10 that, again, it's an honor to be here. Thank you.

11           CHAIRPERSON VICTORY: Next is Greg Bicket,  
12 Vice President and Regional Manager of Cox  
13 Communications.

14           MR. BICKET: Good morning. It's a  
15 pleasure to be here. On behalf of Cox Communications  
16 and the cable industry in the Gulf South, we'd like to  
17 express appreciation to the Chairman and  
18 Commissioners, as well as Commission staff and our  
19 panel Chair, for the opportunity to participate and  
20 work with you all over the coming months.

21           My name is Greg Bicket and I'm responsible  
22 for Cox Communications operations in the New Orleans  
23 metropolitan area. Cox is a facilities-based provider  
24 of cable television, high-speed internet, and both  
25 residential and commercial telephone services.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           We provide service to many entities  
2 critical to public safety, and also provide carrier  
3 services to a dozen interexchange and wireless  
4 providers in the New Orleans area.

5           In terms of the impact of Hurricane  
6 Katrina, more than 1,000,000 Cox passings were  
7 affected in the Katrina and Rita storms. Service to  
8 500,000 Cox customers was interrupted briefly or for  
9 days. Redundant fiber backbone routings were damaged  
10 in multiple locations. Services to 99 percent of  
11 habitable homes occurred in 12 weeks.

12           30 percent of Cox's New Orleans market  
13 must be rebuilt, including reconstruction for  
14 commercial carriers. We enjoyed real partnership with  
15 Bell South and Entergy in the New Orleans disaster,  
16 not so some of the plant-clearing contractors and the  
17 municipal debris removal contractors. In 11 days, we  
18 had received more man-made damage than the storm had  
19 caused.

20           We have rebuilt much of our network and in  
21 the earliest days after the storm, turned to our first  
22 responder group, our red team, if you will, who  
23 evacuated to Baton Rouge prior to the storm in order  
24 to sustain network capability and business continuity.

25           Four of the six retail locations that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have in the New Orleans area were heavily damaged and  
2 closed. We continued to pay our people through the  
3 storm, and we issued market-wide credits in September,  
4 only resuming billing when customers were restored.

5 We provided 17,400 hotel nights and 11,000  
6 meals to Cox employees who had no alternatives in  
7 terms of grocery store accessibility or restaurants.  
8 Of 825 employees, all but 153 have returned to Cox  
9 Communications, and we are back providing our services  
10 throughout the habitable part of our city.

11 The company internally raised \$1,300,000  
12 in disaster relief for 652 Cox employees in the Gulf  
13 South area, so we stepped up for our own, if you will.

14 I think more than anything else, the  
15 lessons that we learned are that there are paradigms  
16 that need to be overcome. How we face issues like  
17 this and how we repair networks afterwards needs some  
18 new thinking.

19 Certainly, we need federal designation of  
20 essential service providers. We think that's crucial.

21 We need to establish emergency radio frequencies set  
22 aside for those first responder teams amongst the  
23 essential services providers. We need to maintain  
24 lists and photo IDs of those first responders in  
25 public inspection files so that these folks can be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 verified and so that law enforcement and other public  
2 safety folks have instant recognition of those people  
3 who have a genuine need to access network.

4 Many of the delays that Cox experienced in  
5 restoring its network were unnecessary and, frankly,  
6 further complicated the recovery of the disaster area.

7 We needed instant day-after sort of access to our  
8 network, we needed to make sure that we had fuel for  
9 our generators, and we found ourselves having to go to  
10 Washington to appeal to powers that be to get those  
11 needed resources.

12 We certainly hope the FCC will take the  
13 lead in working with other disaster recovery agencies  
14 to establish and maintain a list of essential telecom  
15 providers. That spectrum that we all are aware is  
16 being reclaimed should be at least in small part  
17 dedicated to these early responder groups, and give  
18 each other access and communications capacity to one  
19 another.

20 We discovered some significant  
21 resiliencies of our dual-sonnet hybrid fiber cable  
22 network. Much of our network came on as soon as  
23 commercial power was restored. We discovered  
24 weaknesses, as well. All of our emergency  
25 communications alternatives failed in sequence. Our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DMS-500 switch was isolated, permitting only intra-  
2 city calls. We had a ten-day delay in reaching our  
3 critical mid-city CO that had a couple of feet of  
4 water in it, and also some significant fiber routing.

5 The process that we've gone through turned  
6 on some assumptions, and some of those were wrong. We  
7 have a very thorough disaster recovery and business  
8 continuity plan that anticipated the survival of at  
9 least one communications medium. We certainly  
10 overestimated our ability to access, physically, our  
11 network following the disaster.

12 We overestimated the coordination and  
13 cooperation of local officials, military and law  
14 enforcement, and we anticipated at least some access  
15 to generator fuel and unfettered movement by these  
16 early responder red-team members within the market.

17 We believe that in preparing for the  
18 future, what worked is a very careful, thoughtfully  
19 wrought disaster recovery plan. We've certainly  
20 gotten a little more practice with it than we'd hoped,  
21 but the good news is the plan works well and stood up  
22 well in the face of Hurricane Katrina.

23 We believe that Cox, along with other  
24 providers, needs to coordinate with those other  
25 providers, these red-team first responder groups, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that cooperation and collaboration amongst those  
2 groups can be optimized.

3 And frankly, the cooperation that we  
4 enjoyed from sister Cox systems around the country  
5 create a great benefit, as well. We've had hundreds  
6 of other Cox employees, from systems from San Diego to  
7 New England, come in and help us bring things back up,  
8 but our plan is to refine what we learned in Katrina  
9 to update and optimize our plan.

10 We look forward to the opportunity to work  
11 with each of you in making sure that Cox is a partner  
12 in the response to future emergencies and perhaps can  
13 model some of those behaviors for other companies.

14 Again, we thank you for being here and we  
15 hope to be able to contribute.

16 CHAIRPERSON VICTORY: Thank you. Let me  
17 next introduce Lieutenant Colonel Joseph Booth, the  
18 Deputy Superintendent of the Louisiana State Police.

19 LT. COL. BOOTH: Thank you, Madame Chair,  
20 and let me start off like everyone else did by first  
21 of all congratulating the FCC for your foresight and  
22 your leadership in this very important undertaking,  
23 and I'm very anxious to get started and get to the  
24 important work of this committee.

25 I also want to thank many of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 representatives here at the table. Some of you,  
2 personally, were involved in the recovery efforts in  
3 Louisiana, and others represent both public and  
4 private entities which substantially contributed to  
5 that recovery, which is ongoing, but we have made  
6 substantial progress, and I want to thank you for  
7 that, as well.

8 I have a handout here that I gave a copy  
9 of to each of you that I'm going to loosely follow,  
10 and I'll just use it to speak from.

11 It seems to me that already, we're drawing  
12 to some considerable consensus on not only what  
13 happened, but what needs to be done, and so I really  
14 look forward to a very productive series of meeting  
15 with this panel.

16 Let me first give you an overview of what  
17 kind of communication system that was in use in  
18 Louisiana in particular with the state agencies and  
19 some of our locals, what the status of that was, how  
20 it fared, and then the steps that we took not only to  
21 restore that, but to augment its capacity with other  
22 systems, then finally, I'll close with a couple  
23 comments about some possible recommendations and  
24 solutions that we tried -- innovations on the go that  
25 worked to our benefit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 First of all the state is using a very old  
2 800-trunked analog system, which I believe was the  
3 first state-wide system installed in the United States  
4 and therefore, is the oldest and was built to  
5 specifications that were acceptable in the early 80s  
6 and plus, it was built as a state system. It was  
7 never intended, in its initial design, to support  
8 local traffic.

9 It was built for mobile police car, mobile  
10 unit, coverage, and of course, our needs have changed.

11 It is also voice only. We did not even contemplate  
12 in the early 80s substantial data transfers like we  
13 are now, much less imaging, and so we bought a system  
14 that suited our needs, our foreseeable needs at the  
15 time, but of course now, some 20 years later, they are  
16 woefully short, and so our system is also currently at  
17 the end of its service life.

18 We already have been informed by the  
19 vendor that they are not going to support it very much  
20 longer, and so we were already in the throes of moving  
21 into the 700-megahertz range, into a state-wide  
22 network, that would support not only all law  
23 enforcement, but support at least a backbone  
24 connectivity for all the state's emergency response  
25 community using the broadest definition of that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And so one of the things that plagued us  
2 was, I suppose, the same thing that plagues many  
3 systems in the United States, especially in this age,  
4 is inadequate frequency allocation, again based on our  
5 lack of foreseeability of what the needs would be 20  
6 years later, and because also, the capacity is limited  
7 in a number of considerations, because for one thing,  
8 the technology has limited us to the number of towers  
9 that this system will support, and also, again, not  
10 having the frequencies, expansion of the system was  
11 not possible. Even though some computers, we did not  
12 have the frequencies to use.

13           And so we suffered from a variety of  
14 damage in the storm. We did not have any towers in  
15 the state system which fell. We did have towers that  
16 were rendered impaired or even unusable, not from the  
17 winds so much, although we did have some wind damage  
18 to the antennas and some equipment, but this was an  
19 evolving disaster.

20           The winds came and we fared fairly well.  
21 The system did not go down. We had some impaired  
22 operation and like Mississippi, in some areas we went  
23 to fail-safe mode and were operating inside the zone  
24 quite well, but the sites were not trunking with the  
25 rest of the state.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           However, when the flood waters came, that  
2 gave us another problem. The initial onset of the  
3 storm, of course, did bring in some tide surge, which  
4 damaged equipment rooms in the far south areas that we  
5 had. But also, when the flooding began, we lost the  
6 support. The trunk system relies on some  
7 connectivity. Ours is primarily based on telephone,  
8 T1 connectivity, and we started losing all the T1  
9 connectivity in those towers, and so we lost our  
10 trunking capability, which further aggravated the lack  
11 of capacity that we had.

12           At the same time, local systems were going  
13 down, and we were trying to move them onto the state-  
14 wide network, further aggravating the capacity issue,  
15 as well. Then we lost electricity for a variety of  
16 reasons, some of it, again, the service providers  
17 themselves were flooded and unable to get electricity  
18 to us, and then in some cases, when generators began  
19 to fail, we were unable to get to the site to power  
20 the generators back up, and so it was an evolving type  
21 of disaster, involving consequences that cascaded as  
22 the days went on.

23           As a result also of losing the T1s, the  
24 telephone connectivity in that area, 911 systems began  
25 to fail, and they were moved over to the State Police,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and our State Police Headquarters in Baton Rouge, at  
2 our EOC, began receiving a large majority of all the  
3 911 traffic in that area.

4 In fact, we took, in a short period of  
5 time, over 21,000 calls at State Police, and had to  
6 come up with a way to do this, because we had not  
7 previously been a 911 center. We were not used to  
8 taking that kind of traffic, and so we did use a  
9 Homeland Security Program, Homeland Security  
10 Information Network to transition those calls, and  
11 I'll speak more about that later on.

12 Also, we were getting text messages, as  
13 people were trapped and themselves had no means of  
14 communication, they found themselves able to send text  
15 messages. However, I'm not aware of any 911-type of  
16 operation or capability where you can send a text  
17 message to a central public service location and get  
18 an adequate response.

19 So all of us, even at the senior command  
20 level, were getting personal 911 text messages from  
21 friends, and friends of friends and friends of friends  
22 of friends, who were requesting various rescues and  
23 supplies and status, and so it became very difficult  
24 for us, but we did adapt. We were able to put up an  
25 ad hoc system to refer these calls to for action, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we did respond to them.

2 Also, I will say that we did get a fair  
3 number of text messages -- requests for rescues and  
4 other reports -- that were apparently and obviously  
5 inaccurate, bogus even, that did have some affect in  
6 our operations.

7 So but anyway, as our accessibility did  
8 improve, we used -- where the roads were flooded, we  
9 used boats or helicopters to get to the sites to try  
10 to work on them, and we did bring portable  
11 communications networks like cell on wheels and other  
12 type of capabilities, to augment that capability.

13 And so the 800 system, we borrowed  
14 repeaters and frequencies from other agencies, other  
15 parts of the state. We moved equipment down into the  
16 New Orleans area, because what was going on was the  
17 same thing that was referenced earlier. Thousands of  
18 responders were pouring into the area trying to help,  
19 and were getting on the communications systems, or we  
20 were networking them in, and so we had many more  
21 users, ten times the normal number of users in the  
22 area.

23 Not only that, they were all using the  
24 state-wide system, which was never designed to support  
25 that volume of local traffic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So we were overwhelmed. There were busy  
2 signals, and the system was overwhelmed for the  
3 longest time. And again picking up on what a couple  
4 of you have already said, interoperability assumes  
5 operability as its foundation, and we suffered from,  
6 in many cases, impaired operability. Our system was  
7 impaired by all the factors that I just mentioned to  
8 you, and plus many local systems were completely  
9 failed, allowing and providing no interoperability,  
10 but for some of the low-capacity gateway type of  
11 devices that we had in service already.

12           We had a large area outage of services, as  
13 you know. Our ability to respond effectively is  
14 really at this small area outage. In other words, if  
15 a tornado came in and took out a tower and one or two  
16 sites and lost electricity over a somewhat smaller  
17 area, we could respond very quickly, very effectively.

18           We also had a capability of re-engineering  
19 the way communications is moved around in the system,  
20 but where we had an entire region of the state  
21 devastated, those options were beyond our means and  
22 were not feasible solutions.

23           So we did respond quickly. We were able  
24 to restore some limited communications, and in large  
25 part, we were able to be effective because of our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 partners in the private sector who responded quite  
2 well and quite fast to help us restore.

3 We installed satellite dishes, microwave  
4 links, restored down T1 circuits, primarily using  
5 satellite for our data, microwave, for voice traffic,  
6 and we were able to implement and install a number of  
7 other gateway and other interoperability solutions, as  
8 well.

9 I speak later on in my presentation about  
10 the effective relationship we have with some of our  
11 government partners, which ended being a huge part of  
12 our success and capability. We also have some  
13 portable tower capability.

14 One thing that occurred was that our  
15 National Guard is the ESF responsibility -- has the  
16 responsibility for communications, but asked us to  
17 assist, especially in the restoration of public  
18 service -- of public safety communications, so we  
19 began working with FEMA and FEMA asked us to help them  
20 design an estimate that would support local responder  
21 traffic in the 700-megahertz range, because 800 was  
22 not a solution. There were no frequencies, there was  
23 not enough equipment, and so FEMA did contract with  
24 Motorola to install a \$15,900,000 700-megahertz voice  
25 system in the affected area.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And referring back to the first page that  
2 I showed you that was a state system in the affected  
3 area, which was 12 tower sites, later on in the back  
4 of this presentation, you'll see a map showing the 700  
5 installation, where we not only took those 12 and  
6 added 700-megahertz capabilities, but we added six  
7 sites, and the very important thing for you to  
8 remember is we did not build six towers. That was not  
9 possible, certainly in that timeframe.

10           Our intention has been for the last two  
11 years, in augmenting our current system, and remains  
12 now, is to use infrastructure partnered with those who  
13 are holding current infrastructure and trying to  
14 network it into a single system, or at least offer  
15 some overriding network that offers connectivity,  
16 especially in the time of emergency.

17           And now, I want to talk also about some of  
18 our federal partners, who were very helpful, not only  
19 FCC, but in particular, the Department of Homeland  
20 Security and the Department of Defense.

21           The Department of Homeland Security,  
22 Louisiana just happened to be one of the eight states  
23 that was involved in a rollout of the new Homeland  
24 Security Information Network, and we took our 911  
25 calls and moved those over to the HSIN, and were able

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to distribute back to local agencies and others like  
2 the United States Coast Guard, others who were heavily  
3 involved in rescue operations, as well as the many  
4 out-of-jurisdiction or out-of-state responders who  
5 were coming in, and so we were able to move that  
6 information over to a common platform.

7 In some cases, we had to hand-deliver the  
8 data, but we were able to get everyone there on a  
9 common set of operating parameters. And the calls  
10 were so numerous, at one point we quit dispatching to  
11 addresses because before a boat or a craft would get  
12 to the address, it would be full of rescuees that they  
13 picked up en route, so we started deploying by zone,  
14 and we used GIS mapping and others to the plot where  
15 we're getting phone call from -- where we could deploy  
16 our largest effective concentration of assets in that  
17 rescue effort, and we also deployed our communication  
18 to support those responders in that effort, as well.

19 Traditional, I mean very good support from  
20 Nextel, MCI, AT&T, and I didn't meant to leave anybody  
21 out, because certainly, everyone made a substantial  
22 contribution, but just bringing capability to us,  
23 portable satellite trailers, Sailor trailers to  
24 augment our capacity to communicate and, in fact, we  
25 were able to send one satellite-based truck down with,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think, 24 lines attached to it to one of the  
2 jurisdictions that was very heavily impacted during  
3 Katrina, and got some feedback that not only was it a  
4 tremendous help to him in responding and delivering  
5 the essential services, but one thing that is often  
6 overlooked is that the responders' homes also were  
7 destroyed during Katrina, and the many who were out  
8 there responding on behalf of others when some of them  
9 didn't even know where their own families were, and  
10 themselves had lost everything. And I know that's  
11 true for many in the private sector, as well.

12 But one thing that was very helpful was  
13 that these satellite com trailers allowed responders  
14 to come in once a day and call their families and hear  
15 that everything was okay, and it was a tremendous  
16 morale booster and kept many people on the job,  
17 engaged at a very critical time in this response, and  
18 so --

19 We did use satellite, as well. We used  
20 satellite portable units, handheld for some responders  
21 are very unpopular with the users. However, we did  
22 effectively deploy satellite fixed installations as a  
23 redundancy, and where other telephone services were  
24 down, we were able to use satellite and, of course,  
25 VOIP telephones were very helpful and very successful,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as well.

2 We did have some mobile capability that we  
3 deployed. The Department of Homeland Security -- Not  
4 only the Department of Homeland Security, but the  
5 Department of Defense through their Northcom, Northern  
6 Command, and through one of the prime contractors,  
7 Ravada Pacific, came in and helped us restore some  
8 downed areas, putting satellite dishes and microwave  
9 transmitters on our sites to reconnect them to the  
10 public service telephone network, to restore the  
11 trunking capacity, but also bringing in Sailor  
12 technology, portable Sailor technology that was stand-  
13 alone systems with a system that not only had its only  
14 backhaul, it had a satellite dish or a microwave link  
15 that connected the cellular telephone to the regular  
16 telephone network.

17 It came with hundreds of telephone devices  
18 the users were able to use, and these portable cell  
19 sites were networkable. They could be strung out over  
20 a period of some distance, and created quite a large  
21 operating area.

22 And so these were very effective. They  
23 were rapidly deployed. In fact, in one instance where  
24 we had the need for a tower to go in support of  
25 emergency response personnel, we were able to get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 access to a rooftop in the New Orleans area, but it  
2 was completely surrounded by water, and we airlifted a  
3 portable tower site and equipment room to the top of  
4 the building and, in fact, that is one of the dots on  
5 this last map today, that is still operating on top of  
6 the Pan Am Building.

7 But anyway, we did use a lot of temporary  
8 installations. Some of those, we have turned them  
9 into fixed sites, and we were able to install on tower  
10 sites that were already there, and we want to continue  
11 to do that.

12 And of course, FEMA did fund directly to  
13 Motorola a \$15,900,000 purchase order to put in a 700-  
14 megahertz system, and then bought \$5,000,000 worth of  
15 user units for St. Bernard, Plaquemines, and Orleans  
16 Parish for the emergency responders.

17 And you'll see the map on the last page  
18 there, that shows where the 18 tower sites are. Not  
19 all these are at 100 percent operation. Those like in  
20 the Baton Rouge, North Lake area were the last ones to  
21 go up, because that was not where the immediate need  
22 was, and of course, again, FEMA's desire here was for  
23 a regional network.

24 What happened, of course, is that  
25 responders were coming in from other jurisdictions and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unable to talk in the affected area with the emergency  
2 responders who were resident there.

3 I do want to say that I hope we are able  
4 to come up with some effective recommendations  
5 regarding the use and implementation or full  
6 integration of text messaging into our very important  
7 work.

8 I also recommend that we consider some way  
9 to have bandwidth set-asides. One of the things that  
10 was so helpful for use in the Department of Defense,  
11 for instance, their ACTD Program, the Advanced Concept  
12 Technology Demonstration Program. We already had a  
13 relationship with them and with Northcom, and already  
14 had some mechanisms and processes worked out where DoD  
15 could allocate or set aside bandwidth for its  
16 connectivity to emergency responders, especially in a  
17 terrorist event, where the situation awareness for DoD  
18 was so important from the ground.

19 But these relationships were very  
20 effective. They worked for a disaster, as well, and  
21 their Military Assistance to Civilian Authorities  
22 Program.

23 And so I would say that this is a program  
24 that probably needs to grow some legs for the entire  
25 emergency response community.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Also, the capability to restore rapidly  
2 with some emergency bridging or in capacity  
3 augmentation to local systems, and there needs to be  
4 some standard there that regardless of what local  
5 community they roll into, the same technology works  
6 regardless of the type of system.

7           Also, service providers were very helpful  
8 in Louisiana, and one thing that was most effective  
9 with us in integrating their services in their very  
10 helpful efforts, was to bring them into our EOC. Our  
11 Public Service Commission was very effective in  
12 providing a point of contact with them, but actually  
13 helping them take part in the planning of where  
14 essential services were going to be concentrated as  
15 the restoration built out, and also to make sure that  
16 we were in those areas operating, as well, to provide  
17 them a level of security and access that they would  
18 need.

19           Also, a closer partnership, again, with  
20 the private sector -- and the public and private  
21 sector on the use of commercial infrastructure. Also  
22 using the considerable infrastructure that is out  
23 there to and Sailor, it is time for us to take a look  
24 at integrating and figuring out how we can use the  
25 Sailor network to fully augment or more fully augment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 public safety communications in a time of disaster,  
2 especially portable mechanisms.

3 And again, I think bandwidth set-asides  
4 for use of public safety users is going to be a very  
5 important part of that, with some pre-established  
6 contracts, where I don't have to worry about who's  
7 going to pay for this service when a disaster is  
8 looming at me and I have people that need rescuing.

9 We need to know that there is dedicated,  
10 robust, assured, secured communications available for  
11 the emergency responder community, and so finally, we  
12 recommend a network approach where like the Sheriff  
13 said, we need more regional application where we  
14 design not to be interoperability within a community,  
15 but interoperable within a wide area, as a large area  
16 like the City of New Orleans area was devastated, that  
17 responders from other parts of the state and other  
18 states can come in and have some standardization of  
19 communication where connectivity is made more easy  
20 because there is some overriding standard and backbone  
21 network that allows, based on connectivity, rapidly.

22 That concludes my remarks, and thank you  
23 very much.

24 CHAIRPERSON VICTORY: We turn next to  
25 Steve Davis, the Senior Vice President of Engineering

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for Clear Channel Radio.

2 MR. DAVIS: Thank you, Nancy. I  
3 appreciate the opportunity to appear before this  
4 panel, and thank you, Kevin Martin, for allowing me to  
5 participate, as well.

6 Hello, my name is Steve Davis. I'm Senior  
7 Vice President of Engineering for Clear Channel Radio.

8 In that capacity, I had the challenge of directing  
9 Clear Channel's preparation for and response to  
10 Hurricane Katrina.

11 Hurricane Katrina had an impact on Clear  
12 Channel's radio operations in a number of our radio  
13 markets besides New Orleans. Damage to our  
14 infrastructure included damage to, and in some cases  
15 forced abandonment of, studio facilities; downed  
16 towers; loss of electrical power; loss of transmitting  
17 facilities; and loss of satellite reception  
18 capability.

19 Clear Channel's long experience in the  
20 broadcast industry has enabled us to amass a  
21 considerable stockpile of resources that proved  
22 helpful in helping our stations and our fellow  
23 broadcasters to stay on the air in all the communities  
24 we serve.

25 With hurricanes, unlike some other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 disasters, such as earthquakes or terrorist strikes,  
2 there is some advance warning. We took advantage of  
3 that lead-time to hold conference calls with our radio  
4 market in the potential path of the storm.

5 We set up an email list, a phone chain,  
6 and distributed our hurricane preparation checklist,  
7 discussed evacuation plans, contingency and emergency  
8 operation, communication methods during any loss of  
9 normal services, availability of corporate resources,  
10 and I want to mention the -- Sheriff Beary's idea of  
11 COWs. I think we have something similar in mind, and  
12 we might call it BOWs, which I would call Broadcast  
13 Operations on Wheels.

14 We have stage transmitters, portable  
15 generators, portable towers, even, that can be  
16 erected, and we have those sorts of things outside of  
17 the area, and we will bring those into an area where  
18 there is going to be a disaster or where it looks like  
19 a disaster might be approaching.

20 We staged all of those resources, and also  
21 volunteer engineers from outside the area to help our  
22 local engineers and broadcasters to be close to, but  
23 out of the path of, the approaching storm.

24 In Hattiesburg, Mississippi, hurricane  
25 winds downed a 1,000-foot broadcast tower, from which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 two of our stations broadcasts. Because Clear Channel  
2 owns multiple stations in that radio market, we were  
3 able to continue to provide vital local news and  
4 information via our other stations in the area.

5 When a microwave tower at our Hattiesburg  
6 studios also collapsed during the height of the storm,  
7 putting that studio out of commission, we relayed news  
8 and information from a radio station from a radio  
9 station we owned in the nearby Jackson, Mississippi  
10 radio market.

11 One of our regional engineering managers  
12 was seen on site helping our local engineering team to  
13 manage the recovery effort and within 15 hours, the  
14 microwave tower was restored, and we resumed local  
15 programming with 24/7 news and information,  
16 originating in Laurel/Hattiesburg.

17 We think that having regional engineering  
18 managers with deep experience and technical expertise  
19 strategically located throughout the country is one  
20 key to our ability to respond rapidly and decisively  
21 in these sorts of emergencies.

22 Construction of a new 1,000-foot broadcast  
23 tower also began promptly. In the meantime, our  
24 engineering team found a spare antenna at another  
25 Clear Channel station and mounted that on our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 temporary structure, so the two stations which lost  
2 their tower could once again serve the public. That  
3 was a good thing, because to this day, construction on  
4 that new tower still continues.

5 Long-term power outages were widespread in  
6 the path of Katrina. Not only were generators a  
7 necessity, but ensuring a steady stream of fuel was  
8 also essential, as I've heard from some of my  
9 colleagues already today. Thankfully, Clear Channel  
10 also has an outdoor advertising, also known as a  
11 billboard, division.

12 This division has heavy trucks and drivers  
13 with commercial driver's licenses and hazardous  
14 materials permits. We maintain diesel fuel stockpiles  
15 for emergencies at various strategic locations, and  
16 our outdoor division drivers were able to transport  
17 this fuel to our generators so we could continue to  
18 provide service, information, and hope to our  
19 listeners in the communities that we serve.

20 Our outdoor division also provided huge  
21 vinyl sheets that could be used as tarps and roof  
22 coverings, and trucked ice, water, and supplies to our  
23 markets in Biloxi. Portions of the roof were ripped  
24 off our studio building there. Many of our employees  
25 had lost their homes in the storm. They were living

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at the studios.

2 Using these vinyl sheets, we were able to  
3 make the facility habitable until real repairs could  
4 be made. We also provided these sheets to employees  
5 and citizens who needed them for their homes. We had  
6 permanent in place to power most of our Biloxi  
7 facilities, including those studios.

8 In New Orleans, the damage was the most  
9 serious and widespread. On Sunday morning, the  
10 Governor ordered the evacuation of the city. We  
11 weren't sure whether our news and information would  
12 need to originate from our facilities in Mobile or,  
13 perhaps, Houston, Texas, Shreveport, or somewhere  
14 else.

15 As it turned out, our studios in Baton  
16 Rouge, only 50 miles from New Orleans, were spared.  
17 So as the storm blew through, we made the field-  
18 expedient decision to broadcast and serve the people  
19 of New Orleans from our facility in Baton Rouge.

20 As radio broadcasters abandoned their New  
21 Orleans facilities, Clear Channel hastily constructed  
22 a network facility within our Baton Rouge building and  
23 invited all area broadcasters to join our local New  
24 Orleans staff, and utilize those facilities to provide  
25 news and information to all listeners within the New

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Orleans area, via their signals and ours.

2 Thus was the United Broadcasters of New  
3 Orleans born. Clear Channel and Intercom, represented  
4 by Marty, on our panel here today, lost a shared  
5 transmitting facility from which three of our FM  
6 stations broadcast, because of high water. To  
7 continue to broadcast, we installed temporary  
8 transmitters at a site owned by the American Tower  
9 Company.

10 That site became something of a nexus for  
11 New Orleans broadcasting. It was already the  
12 broadcast transmitter home to a number of government  
13 agencies, including the U.S. Coast Guard, FBI, IRS,  
14 and the DEA. Sprint, Cingular, and Nextel also use  
15 this facility. Three full-power television stations,  
16 a number of low-power television stations, and six FM  
17 radio stations, two of which are Clear Channel  
18 stations, transmit from this facility.

19 Clearly, it was essential to the citizens  
20 of New Orleans and the surrounding area that this  
21 facility continue to operate. Fortunately, this was a  
22 very hardened site, with a large generator and a high-  
23 capacity fuel tank. However, even the large tank  
24 could not support operation of all these services  
25 indefinitely, so Clear Channel's outdoor division

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provided a continuous convoy of fuel trucks to this  
2 site.

3 Lieutenant Colonel Booth, as he remarked,  
4 also needed fuel for communications. This is one area  
5 where I support his idea of a networked approach. If  
6 we had known of the need by the Louisiana State Police  
7 for fuel, Clear Channel would have happily provided  
8 fuel with our trucks to wherever it was needed, as it  
9 will to any other agencies in need on this panel or  
10 outside the panel.

11 Clear Channel was able to bring those  
12 supplies in to the tower site using our chainsaws and  
13 heavy equipment, including cranes, that our outdoor  
14 division does have ready to be called into action.

15 Clear Channel is not just a large  
16 corporation, it's thousands of people doing what they  
17 do best: serving the people, whether it's  
18 entertaining, informing, or just talking with you.  
19 And when the need arises, handing you a case of water,  
20 a bag of ice, and maybe a tarp.

21 Mr. Bicket at Cox mentioned that they were  
22 able to raise a lot of money for the employees who  
23 were impacted by the storm, and we are no exception to  
24 that. We certainly were impacted by the storm and had  
25 a lot of employees who had lost homes and lost their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very -- the cars, and everything else that they owned.

2 Clear Channel's employees raised over  
3 \$270,000 for our own employees and of course, Clear  
4 Channel as a company, through our various radio  
5 stations, raised \$65,000,000 to give to the general  
6 public in need, in the impacted areas.

7 Here's where we owe a huge thank you to  
8 Kevin Martin and his team with the FCC, including  
9 especially Peter Doyle, Chief of the Audio Division.  
10 Our fuel supply lines, stretching all the way from  
11 Orlando to New Orleans, rivaled that of a major  
12 military operation. Peter and his team were able to  
13 help us to secure access to a FEMA fuel depot in Baton  
14 Rouge, shortening our supply line from hundreds to  
15 just tens of miles.

16 Peter and I were on cellular phone  
17 communication throughout this tragedy. Because of our  
18 hands-on management of this triage effort and our  
19 direct contact with Peter Doyle and the FCC around the  
20 clock, we were able to keep the FCC fully apprised in  
21 almost real time as stations went off the air and  
22 returned to the air, and whenever stations were  
23 operating with temporary or auxiliary facilities, or  
24 carrying simulcast programming.

25 We relied on satellite phones and two-way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radios that we brought in from out of market to  
2 communicate with our local and visiting reporters in  
3 the field, engineers leading the restoration efforts,  
4 and our trucking teams hauling supplies and fuel into  
5 the impacted area.

6 Some issues that we believe this panel  
7 should focus on include granting broadcasters first  
8 responder status with regard to restoration of cell  
9 phone and other vital services so that we can gather  
10 and disseminate information to the citizens.

11 Again, as some of the panelists have  
12 already remarked, we also received text messages from  
13 listeners or other calls that they couldn't get  
14 through to 911 or couldn't make known.

15 Our radio waves became sort of a public  
16 address system to the people in New Orleans, and we  
17 would go online and announce these things, and even  
18 first responders, if they had a radio on, could listen  
19 and know where the trouble was and where the impacted  
20 areas were.

21 As broadcasters, since it is our duty to  
22 serve in the public interest, convenience, and  
23 necessity, we believe we would like to be involved in  
24 the loop of communications so we can truly offer that  
25 service as we are intended to do.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Direct access to FEMA officials and fuel  
2 supplies is another thing that we would ask for, so  
3 that we can continue to provide our services in the  
4 public interest.

5 We're also looking at a credentialing  
6 scheme, so that perhaps we can actually gain access to  
7 the area. Marty and I did some creative things to get  
8 access and to develop our own credentials, and we got  
9 some help with that from the FCC. However, there  
10 might be a way that we can work with the National  
11 Guard and other federal agencies so that the  
12 broadcasters who are actually trying to restore  
13 service and spread information can be differentiated  
14 from mere looters or others who might have an  
15 interest in visiting the site without a real purpose.

16 We had also asked for a training program  
17 to assist state and local authorities and emergency  
18 operation centers in properly utilizing and operating  
19 EAS equipment to send out vital early warnings.  
20 Although not as important in the case of Katrina, this  
21 is very important for disasters such as earthquakes,  
22 terrorist attacks, chemical spills, where there is  
23 little or no advance warning.

24 We support the network approach. We want  
25 broadcasters to be a part of it. And thank you for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 making a part of it in today's panel. I appreciate  
2 the time.

3 CHAIRPERSON VICTORY: One more opening  
4 statement in before we take a break, so Robert Dawson,  
5 President and CEO, SouthernLINC Wireless.

6 MR. DAWSON: No pressure there.

7 Well, I'll add my applause to the efforts  
8 of the FCC, the Chairman, the Commissioners, and  
9 Nancy. Thank you for the opportunity to be here.

10 SouthernLINC Wireless is a commercial  
11 wireless provider that operates in the states of  
12 Alabama, Georgia, the panhandle of Florida, the  
13 southeast 23 counties of Mississippi. We are a wholly  
14 owned subsidiary of Southern Company, which is the  
15 holding company for Alabama Power, Georgia Power,  
16 Savannah Electric, and Mississippi Power Company.  
17 I'll focus most of my remarks on Mississippi Power.  
18 They operate on the coast, and we do, too.

19 Because we survived the storm and came  
20 back quickly where we had damage, we were the primary  
21 means for the restoration of electric service along  
22 the coast and in Mississippi, as well as in Alabama  
23 and the panhandle of Florida, Gulf Power. Sometimes  
24 we were the only means, and we brought in over 11,000  
25 people on the electric side to work in that area, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Mississippi Power has 1,200 people. We went up to  
2 12,000, and we were the primary means for their  
3 communications.

4 We also supplied phones to the Mississippi  
5 National Guard, the U.S. Coast Guard, Mississippi  
6 Emergency Management, and other government agencies  
7 and public service entities. Some of the people in  
8 the room are customers of mine, and I appreciate them.

9 The high level, I think you can look to  
10 SouthernLINC's success being attributed to the  
11 original design and construction and the ongoing  
12 maintenance of the system; the pre-planning -- the  
13 storms. We withstood and dealt with 15 main storms  
14 since we were commercial in 1996, and in hurricane  
15 season 1995, before we were commercial, Aaron and Opal  
16 came through Pensacola, Florida, and we were there to  
17 help Gulf Power during that timeline, so we have a  
18 long history of that.

19 We have a lot of extensive lessons learned  
20 out of Ivan. I know we're focusing on Katrina, but  
21 Ivan devastated Gulf Power Company. We took those  
22 lessons learned and applied them to the next storm.

23 If you haven't been to the Mississippi  
24 coast, you've only seen it on TV, you cannot  
25 appreciate the extensive damage there. I didn't until

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I got there the Friday after the hurricane, and it's  
2 beyond description. I can't find words to do it. A  
3 small TV set will never do it.

4 Mississippi Power had 195,000 customers  
5 before the storm. They lost all of those customers,  
6 but they were able, with our support and the support  
7 of lots of people, to get the electricity back to all  
8 the people who could take it and along the coast, a  
9 lot of homes and businesses were gone within 12 days  
10 from landfall.

11 As Southern Company CEO, David Radcliff  
12 recently explained to a Senate Committee on Homeland  
13 Security and Government Affairs, Southern Company  
14 starts taking action long before disaster strikes.  
15 For instance, Mississippi Power alone, it invested  
16 \$7,000,000 in certain equipment and logistical support  
17 in the two weeks before Katrina made landfall, and I  
18 will tell you that SouthernLINC's made from that same  
19 DNA. We have the same owner.

20 And there's a circle of life there. For  
21 communications, you need power; and to get power  
22 restored, you need communications. So we were  
23 designed, originally, to meet the ongoing needs of the  
24 electric utilities' day-to-day operations over what's  
25 now 128,000 square miles for SouthernLINC, to be there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to restore power after hurricanes, tornados, ice,  
2 squirrels, snakes, whatever takes it out -- and a lot  
3 of things can.

4 If you're like me, when the power goes  
5 out, you walk from one room to the other and the first  
6 thing you do is reach for the switch when you go in,  
7 because you always expect the power to be there.  
8 Wireless is the same way with people today, and I  
9 learned from a power guy -- been doing this for ten  
10 years -- but it takes a lot of wires to run a wireless  
11 company.

12 We have ongoing work with Bell South over  
13 the circuits to get to our towers. We did that before  
14 Ivan, after Ivan, and we've got a meeting coming up  
15 here in February that I'm looking forward to as we try  
16 to refine the process of how we get their people in to  
17 restore communications and how we can aid them in  
18 restoring power to their sites, which are critical.

19 Our people helped a lot of folks, let  
20 people, their loved ones, know that they were alive --  
21 maybe not well, but alive, and surviving. One of the  
22 things that hurt me most in looking at the storm was  
23 Mississippi Power Company story didn't get out, and  
24 just like many of you talked about your people, the  
25 people of Mississippi Power who had lost homes were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there to get the power on, the Southern Company folks  
2 make you proud to be part of a company like that.

3 A lot of what we're going to talk about is  
4 going to fly in the face of all the commercials that  
5 we see on TV about free minutes, free phones, and free  
6 this and free that. This wireless stuff has never  
7 been free. The things that need to make it more  
8 robust and resilient are going to be things like  
9 SouthernLINC has already done, that's put generators  
10 at the sites and to make sure that the towers are  
11 strong enough, with wind-loadings, ice-loadings, and  
12 things like that.

13 We work hard to have redundancy, both  
14 geographically and other ways to have diversity of  
15 feeds into our sites and back to our switches.

16 We did have outages. A lot of that had to  
17 do with landlines. We worked around that; we put in  
18 on a microwave shots. Bell came in as fast as they  
19 could. There probably needs to be more cooperation  
20 and coordination between FEMA and what they call a  
21 lock-down, and what that does to prevent people from  
22 coming into an area that need to be there to work with  
23 things.

24 Things that we planned for: standby  
25 generators worked. Switches to automatically throw

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 over to the generators didn't. What differentiated us  
2 from other things that I saw, at least reported in the  
3 Press, is we had people there on the ground doing  
4 things immediately after the storm. Now, we don't let  
5 our people go out into the winds, below 40 miles an  
6 hour. We're strong on the whole safety issue, and we  
7 have a target zero. Every job, every day, safely.

8 So we're not encouraging anybody to do  
9 things unsafe. In fact, Mississippi's looking at,  
10 even though we have had a history of success, what do  
11 you do in the first 48 hours if nothing's working?

12 We design things for our system based on  
13 Camille, which was the high-water mark in the lives of  
14 many people along on the coast. They talked about  
15 where they were when Camille hit, what's happened  
16 since. We had two sites that we lost because of  
17 flooding, and they were built on piers, eight feet  
18 above the ground. Katrina put seven feet of water  
19 into the buildings.

20 So we cannot just stop and think Katrina's  
21 probably going to be the worst. My bet is something  
22 worse, which I hope never happens, could come along.  
23 I hope we don't try to figure out what will be fail-  
24 safe in the way that nothing breaks, because you won't  
25 be able to afford it, and you will not be able to plan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for everything that nature can throw us.

2 One of the things we were able to do for  
3 our folks was when I call people that I knew that I'd  
4 worked with at Mississippi Power during the time I was  
5 there, I learned that the 228 area code didn't work.  
6 We added 800 numbers to our phones remotely for our  
7 customers, and called and told them that they had  
8 numbers. This let them call out and have their loved  
9 ones from other places call in and also let the  
10 emergency workers communicate with people.

11 We also saw the increase in traffic. If  
12 you measure the first three weeks before the storm  
13 compared to the last three weeks right after the  
14 storm, we saw a three-fold increase. The first thing  
15 you see is queuing and blocking. We had people there  
16 to put in more than 100 base radios. We took care of  
17 that and we got rid of queuing and blocking quickly.

18 It comes down to people, and we're going  
19 to hear a lot of stories about the people. You've got  
20 to have plans, and you've got to have people who are  
21 smart enough to react and have the capability to do  
22 that and to fill in power to do it.

23 I'd also give credit to Motorola, who  
24 developed the technology, iDEN, which has talk-pass  
25 for frequency, which made it economical for us to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 begin to offer that as a commercial service, as well  
2 as just to the operating companies.

3 Preparation is key, but you've got to work  
4 to plan; you've got to have people who know how to  
5 operate under the plan. If you don't have that,  
6 forget it.

7 I would note that in 1996, the Public  
8 Safety Wireless Advisory Committee, in a report to the  
9 FCC, evaluated the wireless communications needs of  
10 federal, state, and local public safety agencies  
11 through the year 2010. Among its recommendations, the  
12 committee encouraged the use of commercial services,  
13 provided that the essential requirements of coverage,  
14 priority access, system restoration, security, and  
15 reliability are met.

16 SouthernLINC's experience makes it clear,  
17 to me, that an appropriate public-private partnership  
18 built around a commercial system like ours can provide  
19 economically viable and readily achievable solutions  
20 to the current communications needs for vital public  
21 safety emergency management and critical  
22 infrastructure first responders, and can practically  
23 adapt to meet those needs as they evolve in the  
24 future.

25 It may not be possible to do that all over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the country. I know it can happen in the southeast,  
2 and I would hope that any action that the FCC or this  
3 panel would take would encourage such opportunities.

4 Again, I think you, Nancy, and the FCC for  
5 the opportunity to be here, and I look forward to  
6 working with you all.

7 CHAIRPERSON VICTORY: At this point, we're  
8 going to take a break for lunch and meet back here at  
9 1:30. Believe it or not, we are on schedule, even  
10 though we started a bit late, so that's great.

11 I appreciate everybody's remarks so far,  
12 and I look forward to hearing from the other panelists  
13 this afternoon.

14 We will begin promptly at 1:30. Those of  
15 you looking for lunchtime options, there are some  
16 cafes available at the courtyard level of the FCC  
17 building. There are restrooms just down the hall, and  
18 I'm assuming, Lisa, that the security badges will  
19 allow them to exit?

20 Okay, just take your nametags -- or is  
21 there a security badge as well? Just the nametags,  
22 and if you take the elevator to the courtyard level,  
23 it's CY in the elevator, and go out the door there by  
24 security, and you will see there are a couple of  
25 options for lunch that are close by, or you are free

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to leave the building, just be back by 1:30.

2 Thanks very much, and again, if you are  
3 going to be a chair or a vice-chair of one of the  
4 working groups, if we could just meet for a couple of  
5 minutes here, that would be great.

6 (Whereupon, the above-entitled matter went  
7 off the record at 12:08 a.m. and resumed 1:31 p.m.)

8 CHAIRPERSON VICTORY: Why don't we get  
9 started. It's 1:30, and I know some of you have  
10 planes to catch tonight, so I want to make sure we  
11 finish on time or ahead of time.

12 Let's continue on with our introduction of  
13 panel members and their opening statements. I believe  
14 we're up to Steve Dean, Fire Chief of the city of  
15 Mobile, Alabama.

16 MR. DEAN: Thank you, Nancy. First of  
17 all, I thank you for the opportunity to serve on the  
18 committee. It's truly an honor, and I'm here  
19 representing the International Association of Fire  
20 Chiefs, and particularly the metro section, which are  
21 the Metropolitan Chiefs.

22 Being from Mobile, I feel like I'm  
23 probably the luckiest fire chief in the country over  
24 the last two years. We've dodged five major storms  
25 and just been brushed by them, with Ivan, Arlene,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Dennis, Katrina, and Rita. We got very little, if  
2 anything, from Rita, but the others, a shift one  
3 degree either way could have really been devastating  
4 to my area.

5 Being on the fringe, we were very lucky.  
6 The south part of the county that I live in was not as  
7 lucky, even though it hasn't received the press that a  
8 lot of the other areas have, the Dolphin Island and  
9 Bayou La Batre areas of south Mobile County looks like  
10 Mississippi Gulf Coast. But certainly since sitting  
11 in the center of the northern Gulf Coast, we're right  
12 in the middle of what we call Hurricane Alley, s this  
13 affects us.

14 The ability to communicate after a storm  
15 in our area is essential to the provision of services  
16 to the citizens, and also to coordinate with other  
17 public safety agencies as they come in, and that's  
18 your lifeblood to get to get to the citizens and for  
19 them to get to us.

20 You can all of the equipment in the world,  
21 and you can have all the manpower and all of the will  
22 to help them, but if you can't get that phone call in  
23 or you can't get that message out to the troops, then  
24 all's for naught, and that's our reason for being.  
25 That's our lifeblood.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           A couple of the things that we would love  
2 to see in the public area that's, I believe, pretty  
3 well a standard in private industry, is generator  
4 power on all of our sites. We could really benefit  
5 from that, and that needs to be multi-fuel capable.

6           Facilities, we feel, we have been very  
7 fortunate in that our natural gas supply has been  
8 unaffected on any of our storms, since even Camille.  
9 We've had plenty of natural gas, but that can be  
10 affected, but diesel, as well as other sources of  
11 fuel, would be nice to have that capability on these  
12 power plants -- and then to have some mechanism to  
13 ensure a solid supply of fuel into the area to area to  
14 support those, because fuel in an affected area  
15 becomes very important to sustain in daily operations  
16 to your citizens, and being -- those sites also being  
17 placed on a priority list to receive power back.

18           We understand that the medical facilities  
19 certainly should be on top priority list, because  
20 those patients that are housed in those facilities  
21 need that power, but then the communications systems  
22 should certainly rise to that level.

23           We feel that someone from FCC with the  
24 authority to assign frequencies in the affected area  
25 and have the authority to make that happen in a very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 timely basis is going to help the incoming units or  
2 personnel especially.

3 In the fire service, if one of our USAR  
4 teams comes into an area and they're assigned  
5 frequencies that conflict with daily operations of  
6 people who are already living in that area, they need  
7 to be able to move those frequencies around, and you  
8 need someone that has the authority, on the fly, to  
9 make that happen for them.

10 We certainly need to enhance the program  
11 of the portable systems that all of the providers  
12 have, and to place them in strategic locations, close  
13 to the affected area, but not in harm's way, where  
14 they can get in and get set up, and then be of the  
15 understanding that those systems are going to be in  
16 place for months, in some cases, in areas where  
17 systems are wiped out, because that is something that  
18 it takes to, again, continue service to those  
19 citizens.

20 And we also need that individual from FCC  
21 to work with our technicians in giving them some type  
22 of leeway or guidance in a system to get the  
23 infrastructure back up and working. We may have  
24 microwaves that are off by a degree or two and are not  
25 communicating with one another, that just an increase

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in power or moving the area that they function within  
2 a slight bit for a short period of time, until you can  
3 actually get personnel up there to re-adjust them and  
4 re-align them, but the system would come up on a  
5 temporary basis to at least let our people communicate  
6 and have that capability -- would greatly assist with  
7 what we do on a daily basis.

8 Our folks on the street, they like the  
9 units that they use, whether they be Maycom or  
10 Motorola or whomever, but when it comes to a time of  
11 emergency, they don't care what unit they're pushing  
12 to talk on, they just want somebody to be able to  
13 communicate with them, and that's what we're trying to  
14 get to in these times, is just to get something that  
15 works until we can get our systems back up online and  
16 get moving, and that's what I hopefully will be able  
17 to do here, and I'm honored to be a part of it. Thank  
18 you.

19 CHAIRPERSON VICTORY: Thank you, Steve.  
20 Let me turn next to Steve Delahousey, the Vice  
21 President of Operations of American Medical Response.

22 MR. DELAHOUSEY: Thank you. I serve  
23 American Medical Response in the four state of  
24 Mississippi, Louisiana, Alabama and Georgia. AMR is  
25 the largest provider of medical transportation in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nation, serving 39 states.

2 In Mississippi, we provide approximately  
3 40 percent of all ambulance transports done in the  
4 state. I'll limit my comments today on the impact of  
5 Hurricane Katrina on EMS communications in South  
6 Mississippi. The presentation will be in two parts:  
7 problems and challenges, and then success and past  
8 practices.

9 First, with problems and challenges. The  
10 Gulf Coast underestimated the magnitude of Hurricane  
11 Katrina, despite very accurate predictions from the  
12 National Hurricane Center. We were called in on  
13 August 26, the Friday before the storm hit, at  
14 approximately 10:00 p.m., 56 hours from landfall. The  
15 National Hurricane Center shifted the storm's path  
16 from Pensacola, Florida to Buras, Louisiana. They  
17 only missed it by 18 miles, 56 hours out.

18 Computer models predicted a very large  
19 hurricane, 200 miles wide, with sustained hurricane-  
20 force winds for 12 hours and tidal storm surge 28+  
21 feet. This was unprecedented.

22 There were 250,000 people in Harrison and  
23 Hancock counties in south Mississippi, 11 hospitals,  
24 15 nursing homes. Two hospitals were evacuated pre-  
25 storm. Three hospitals were evacuated post-storm.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Four nursing homes were evacuated post-storm.

2 I'm pleased to say that no lives were lost  
3 in any of the healthcare facilities or as a result of  
4 the evacuations. VHF communications with the  
5 hospitals was unreliable in this disaster. The  
6 disaster shelters were provided with portable two-way  
7 radios. However, they did not have emergency  
8 generator power, so the radios failed when the  
9 batteries died.

10 There were more than 25,000 non-  
11 institutionalized special needs patients with severe  
12 disabilities in these two counties. Many had to be  
13 evacuated by mutual-aid ambulances that had varying  
14 types of radio systems.

15 There were over 100 additional mutual-aid  
16 ambulances brought in to south Mississippi by the  
17 state and the private sector. Most did not have radio  
18 systems compatible with that of the local EMS lead  
19 agents. There were so many landmarks and street signs  
20 that were destroyed, that ambulances could not  
21 navigate without the use of GPS.

22 Shortly after the hurricane, there were  
23 hundreds of military helicopters in the air, yet we  
24 could not communicate with a single one to assist in  
25 county ESF-8 functions to help with medical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       evacuations.

2                   Two-way radio communications with local  
3       EMS worked well, but could not communicate with state  
4       and federal healthcare organizations. Many of the  
5       state and federal agencies could not communicate with  
6       their own regional and national offices.

7                   Some cellular phone systems were first  
8       overwhelmed by call volume, and then failed due to  
9       lack of electricity and tower-site interconnectivity.

10                   Some integrated digital enhanced network,  
11       or iDEN systems, worked well during the disaster.  
12       However, they were overloaded, and EMS and public  
13       safety agencies did not receive priority in two-way  
14       radio transmissions.

15                   Those areas that lost public safety  
16       communications services had partial disruption of  
17       command and control capabilities for federal, state,  
18       and local public safety and disaster recovery  
19       services.

20                   For some areas, technical support for  
21       public safety communications systems was inadequate,  
22       both pre- and post-landfall. Even in the areas where  
23       public safety communications infrastructure remained  
24       intact, fueling and maintenance of power generator  
25       systems proved to be a tremendous challenge.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Battery backup systems for public safety  
2           communications were inadequate in some locations.  
3           Truckloads of fuel, medical supplies, and  
4           pharmaceuticals were sent into the disaster area.  
5           However, many never made it to their destination,  
6           because there was no communication with law  
7           enforcement at the state borders, who would direct the  
8           disaster relief supplies to alternate locations.

9           The Hospital Association provided  
10          satellite radio telephones to all the hospitals in  
11          south Mississippi. However, most external antennas  
12          were destroyed. There were no federally contract  
13          ambulance pre-deployed to Mississippi or Louisiana for  
14          Hurricane Katrina. However, for Hurricane Rita,  
15          hundreds of ambulances were pre-deployed to Houston  
16          with instructions on how to communicate with the local  
17          EMS agencies.

18          I'll now address some of the successes and  
19          best practices that we saw. Harrison County,  
20          Mississippi's new 800-megahertz trunked public radio  
21          system never failed. All five cities and the county  
22          operated on this system. The damage to the radio  
23          infrastructure, that is the radio transmitters,  
24          receivers, antenna systems, towers, etc., was  
25          remarkably slight.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Protective fallback modes and systems  
2 operated as designed. Redundant battery backup  
3 systems worked well, and Harrison County system  
4 providing network operations for 14 hours until  
5 generators could be repaired or replaced.

6 My company, AMR, purchased hundreds of  
7 portable 800-megahertz radios to be used by mutual-aid  
8 ambulances. When the city of Pass Christian in west  
9 Harrison County, when their police and fire dispatch  
10 center was destroyed, all 911 calls, including medical  
11 calls, we rerouted to the City of Biloxi's PSAP. The  
12 switch was transparent, and it worked very well for  
13 four months.

14 E911 telephone service in Hancock County  
15 was disrupted, and calls were rerouted to the  
16 secondary PSAP at AMR's headquarters in Gulfport,  
17 Mississippi. Expanded capacity was added to the  
18 Harrison County system to accommodate for additional  
19 ambulance radios, as well as other public safety  
20 agencies.

21 Hancock County's VHF radio system was  
22 destroyed, so AMR deployed mobile communications  
23 command post vehicle to serve as a base station  
24 outside of the hospital in Bay St. Louis. For some  
25 reason, and this has already been mentioned, text

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 messaging on wireless devices seemed to work very  
2 during this disaster, even when voice communications  
3 failed.

4 Even when telephone line, landlines and  
5 cellular, began working, dialing the local 228 area  
6 code number was difficult. Long distance numbers  
7 would work. They worked very well. Eventually, in  
8 EMS, we purchased cell phones with long distance area  
9 codes so that we could use them locally.

10 In summary, I would just like to say that  
11 many lessons can be learned from Hurricane Katrina.  
12 This was the worst natural disaster in our nation's  
13 history. We should learn what worked well and what  
14 areas need improvement. Hopefully, this panel will  
15 take the necessary time to study all aspects of  
16 disaster-related communications and make decisions  
17 that positively impact the operability and  
18 survivability of both existing and future public  
19 safety radio systems.

20 CHAIRPERSON VICTORY: Thank you, Steve.  
21 Turning next to Dave Flessas, the Vice President,  
22 Network Operations of Sprint Network Services.

23 MR. FLESSAS: Thank you, Nancy, and good  
24 afternoon, members of the committee. My name is Dave  
25 Flessas. I'm Vice President of Network Operations at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Sprint Nextel Corporation.

2 Sprint Nextel offers a comprehensive set  
3 of wireless and wireline communications services to  
4 consumers, businesses, and governments, both in the  
5 Gulf Coast, throughout the U.S., and around the world.

6 When Katrina made its first landfall in  
7 Ventura, Florida, on August 25, only nine business  
8 days had passed since we closed our merger between  
9 Sprint and Nextel. Despite that challenge, as a  
10 result of strong pre-merger planning, when the storm  
11 hit south Florida and later hit the Gulf Coast, our  
12 newly formed company of 80,000 employees came together  
13 with a unified and large-scale restoration effort.

14 Our network team's initial response to  
15 Hurricane Katrina and its expected service impacts  
16 actually began four days before the storm's Atlantic  
17 Coast landfall.

18 As part of our emergency plan, hundreds of  
19 Sprint Nextel engineers and technicians across the  
20 south conducted their standard list of hurricane  
21 preparations, completing checklists at 72-, 48-, and  
22 24-hour intervals before landfall. As part of this  
23 process, crews pre-positioned generators and diesel  
24 fuel, readied dozens of specialty vehicles, and  
25 assembled tools and supplies needed to repair damaged

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 electronics and restore service to our customers in  
2 the region.

3 On August 30, the day after landfall, in  
4 Plaquemines Parish, our crews spread throughout the  
5 Gulf Coast to begin to recover and restore  
6 communication services to the devastated communities.

7 These communities stretch across an area  
8 of about 90,000 square miles. That's just less than  
9 the geographic size of the District of Columbia,  
10 Virginia, Maryland, and Pennsylvania combined.

11 Following initial field inspections, we  
12 reported widespread wireless outages on both the  
13 Nextel national network and the nationwide Sprint PCS  
14 network. In addition, we announced service  
15 disruptions to long distance voice and data customers  
16 across the region. We had a total loss of our New  
17 Orleans long distance switch and our Biloxi pop site.

18 We also sustained significant damage to  
19 several regeneration sites around Sprint Nextel's  
20 fiber route and numerous wireless sites in the five-  
21 state area impacted by the storm.

22 As we all know, wireless and wireline  
23 network equipment needs commercial and electric power  
24 to work, and while many Sprint Nextel sites and  
25 facilities have backup generators or batteries, heavy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flooding destroyed some of those sites.

2 While backup power offered some temporary  
3 relief to wireless sites without commercial AC, the  
4 vast flooding across the area made it impossible to  
5 deploy generators to the sites after the batteries ran  
6 out. Sites facing telco outages were even harder to  
7 bring back online.

8 In addition, as reported in the media, in  
9 areas of New Orleans, there were unexpected security  
10 issues to contend with, requiring us to conduct  
11 restoration work only during daylight hours, while  
12 accompanied by armed guards we had hired to protect  
13 our employees and contractors. Further, road closures  
14 in the hardest hit areas of Louisiana and Mississippi  
15 disrupted our efforts to deploy and refuel cell site  
16 generators in the early days of the restoration.

17 In mid-September, we estimated the  
18 financial impact on our company to be between  
19 \$150,000,000 and \$200,000,000 net of expected  
20 insurance recovery. This estimate includes capital  
21 and operating costs primarily associated with  
22 restoration of the infrastructure and retail  
23 operations billing relief for impacted customers, etc.

24 But of course, that estimate doesn't  
25 include the personal and financial costs of more than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 500 of my Sprint Nextel colleagues in Louisiana,  
2 Mississippi, Alabama, and Florida faced in the storm's  
3 aftermath, many of whom were involved in the recovery  
4 effort themselves.

5 It's important to note that our company's  
6 response to the storm wasn't limited to the network  
7 team that I'm a part of. The work of two other groups  
8 at Sprint Nextel played significant roles in our  
9 ability to promptly restore service to our customer  
10 and bear mentioning today.

11 The first group is Sprint Nextel's  
12 Enterprise Incident Management Team, or the EIMT.  
13 This is a group within our company that oversees the  
14 company's overall disaster response. Within 72 hours  
15 of the Gulf Coast landfall, the EIMT deployed a  
16 temporary mobile command center with full network and  
17 IT capabilities to coordinate the company's massive  
18 recovery effort.

19 Located at the Baton Rouge State Fair, the  
20 facility which our employees on the ground dubbed  
21 "Sprint City," housed our main base of operations in  
22 Louisiana. Spread over several acres, Sprint City  
23 housed approximately 360 people during the recovery,  
24 including network recovery personnel, security, IT,  
25 facilities, salespeople, environmental health and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safety officers, business continuity officers, our  
2 state EOC representatives, a full-time pilot, a nurse,  
3 and a mental health counselor.

4           Along with the EIMT's work, our response  
5 to the hurricane was greatly aided by the work of  
6 Sprint Nextel's emergency response team, or the ERT.  
7 Unique in our industry, the ERT is a small group of  
8 communications professionals with extensive emergency  
9 communications experience who work side-by-side with  
10 public safety and other state and local government  
11 agencies in their response and recovery to emergencies  
12 and large-scale events.

13           Hurricane Katrina was, in fact, the  
14 twentieth Presidentially declared event that the ERT  
15 has responded to since that team was formed in 2002.

16           To help respond to the immediate  
17 communications needs of the emergency responders  
18 working in the region, within four hours after the  
19 Gulf Coast landfall, the ERT arrived in Louisiana with  
20 five SATCOLTs, that's satellite cells on light trucks,  
21 and thousands of handsets equipped with traditional  
22 Nextel walkie-talkies, as well as some enabled with  
23 direct talk, which is Sprint Nextel's off-network  
24 walkie-talkie service.

25           Both services provided first responders

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 critical communications capabilities at a time when  
2 the region's wireless networks were disabled by the  
3 loss of commercial AC and local telephone services,  
4 two essential interdependencies needed for wireless  
5 communication.

6 Sprint Nextel is proud that our emergency  
7 response team directly supported the work of  
8 approximately 75 federal, state, and local law  
9 enforcement agencies, fire departments, EMS units,  
10 emergency management agencies, and military units  
11 working to help the region recover from this storm.

12 In addition to providing tactical  
13 communications when public safety systems were  
14 unavailable, and FCC authorized air-to-ground  
15 communications for MedEvac helicopters, the ERT  
16 deployed SATCOLTs to 12 locations, including downtown  
17 New Orleans and several Parish emergency ops centers.

18 There were many lessons learned over the  
19 course of Hurricane Katrina and through subsequent  
20 restoration efforts. Through Sprint Nextel's formal  
21 events analysis program, we have conducted after-  
22 action reviews across the organization and have  
23 identified, documented, and are now driving  
24 improvements in these areas.

25 These improvement areas run the gamut

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 across the company and beyond, to vendors, partners,  
2 and other service providers. There are five key areas  
3 of improvement where Sprint Nextel is focusing  
4 significant resources.

5 The first is cell site hardening. We're  
6 focused on ensuring maximum cell uptime, even during  
7 intense storms and as such, additional emphasis will  
8 be placed on generators and alternative means of  
9 transport facilities in the areas of significant risk.

10 Second, business continuity planning.  
11 We're going back and reviewing and revising site  
12 vulnerability analysis and putting forth additional  
13 mitigation plans. Additionally, we are improving our  
14 overall command and control structure during the storm  
15 preparation and restoration to streamline the process  
16 and further facilitate service restoration.

17 Third, external partnerships. We are  
18 reaching out to vendors, partners, and other service  
19 providers to collaborate and improve ways to respond  
20 to these types of events. This would include working  
21 with power companies and other telecom providers to  
22 help prioritize restoration efforts and develop mutual  
23 aid processes.

24 Fourth, those restoration processes.  
25 We're reviewing our own restoration processes from top

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to bottom in order to reduce cycle times, improve  
2 prioritization methodologies, and provide better  
3 restoration forecasting.

4 And fifth, communications. This storm  
5 certainly tested the industry with regard to  
6 communications, both within our organization and to  
7 external organizations. Sprint Nextel is putting in  
8 place more rigor around tactical communications during  
9 restoration, but is also focusing on communications  
10 externally, as well, such as with customers, emergency  
11 response agencies, vendors, partners, and other  
12 service providers to ensure necessary and timely  
13 communications.

14 There are several industry-wide issues  
15 that have also been identified. The first, and both  
16 Greg Bicket and Steve Davis spoke to this earlier,  
17 telecommunications carriers need to be designated as  
18 emergency responders, so that we may receive  
19 government assistance and priority access to fuel and  
20 other resources from vendors and the federal  
21 government during times of crisis.

22 For example, establishing security for  
23 employees and facilities delayed our recovery efforts,  
24 and companies were forced to obtain private security  
25 forces. Furthermore, an emergency responder

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 designation would allow our crews immediate access to  
2 impacted areas to ensure the fastest service  
3 restoration possible.

4 Second, there's a need to clarify roles  
5 and responsibilities of the various government  
6 agencies. The National Response Plan was intended to  
7 designate the individual roles of the responding  
8 government agencies and establish a comprehensive  
9 process for managing the incident. However, we  
10 believe the National Response Plan needs to be  
11 reviewed, and exercises should be conducted to ensure  
12 personnel are trained and issues are identified before  
13 a disaster occurs.

14 Lastly, coordination between  
15 telecommunications carriers, power companies, and  
16 responding government agencies at all levels needs to  
17 be enhanced. Better communication and coordination of  
18 response activities would increase the effectiveness  
19 of the overall recovery and ensure efforts are focused  
20 on the right priorities.

21 The process of reporting status  
22 information needs to be efficient and aimed at  
23 assisting response efforts. Several government and  
24 industry forums, such as the National Security  
25 Telecommunications Advisory Committee, NSTAC, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 National Coordinating Center for Telecommunications,  
2 NCC, and the Service and Network Operations Group, are  
3 also examining the subject. We need to ensure that we  
4 are heading in a common direction and are working to  
5 resolve issues to better prepare for the upcoming 2006  
6 hurricane season.

7 In conclusion, on behalf of Sprint Nextel,  
8 thank you for the opportunity to participate in the  
9 important work of this committee. We recognize that  
10 in the midst of a crisis, all of us on the panel and  
11 those of us who are following the proceedings today  
12 want the same thing. Put simply, we want reliable  
13 networks, and in times of crisis, we want to minimize  
14 service disruptions and restore service as soon as  
15 possible.

16 I look forward to working with my fellow  
17 members to help achieve that goal. Thank you.

18 CHAIRPERSON VICTORY: Thanks, Dave. Let  
19 me turn next to Marty Hadfield, the Vice President  
20 Engineering at Entercom.

21 MR. HADFIELD: I am Marty Hadfield, Vice  
22 President of Engineering for Entercom.

23 During the first days following Katrina,  
24 nearly 100 radio stations and almost 20 television  
25 stations were knocked off the air in Alabama,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Louisiana, and Mississippi. We know that radio is a  
2 source of information for people every day, but  
3 following a disaster, it's more than just a casual  
4 source of what's happening. It's a fundamental  
5 support for survival and recovery, and nowhere was  
6 that more important than in New Orleans. That's the  
7 home of Entercom's flagship station, WWL.

8 WWL is a primary entry point station for  
9 the emergency alert system, and we knew that we had to  
10 stay on the air, but the New Orleans streets were  
11 blocked, the building housing our studio was  
12 evacuated, and we'd already established a small  
13 broadcast studio at the Jefferson Parish Emergency  
14 Operation Center as part of our pre-disaster planning.

15 That wasn't going to work for the long  
16 term, so we sent a staff member to look for alternate  
17 broadcast studio locations. We abandoned competition,  
18 focused on the community's needs, and we ended up with  
19 our friends now at Clear Channel's facility up in  
20 Baton Rouge.

21 Thanks to the FCC's instant reaction in  
22 granting waivers to several broadcast rules, we were  
23 able to coordinate the simulcast of WWL's programming  
24 on any AM or FM station in the region, thus allowing  
25 an ad hoc emergency network to spring to life.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           At its peak, over 50 AM and FM stations  
2 may have been carrying the common emergency and news  
3 programming to the people of the Gulf Coast. People  
4 not only listened for news, but also called in with  
5 heartbreaking requests for help and rescue. It's not  
6 an overstatement to say that lives were saved by the  
7 radio waves.

8           Our disaster planning was good, but a  
9 fundamental lesson is the need to cooperate and  
10 combine resources, which is what we did with Clear  
11 Channel and other broadcasters, in order to handle the  
12 magnitude of this emergency.

13           Our original disaster contingency planning  
14 had been developed from years of exposure to lesser  
15 hurricanes and other disasters. However, we had to be  
16 flexible, let people think on their feet, and be  
17 willing to entertain unexpected solutions to  
18 unexpected challenges.

19           We did have a few problems, and two of the  
20 areas of focus for this panel, as we've heard before,  
21 fuel -- availability and transport was a real issue.  
22 Even when fuel was available, the conditions following  
23 the disaster made it almost impossible to get to the  
24 fuel depots and then transport back to our facilities.

25           We also found weakness in our internal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 emergency communications, Cell phones, satellite  
2 phones, and other means of contacting our personnel  
3 were often not as effective as two-way radios.  
4 Fortunately, our emergency plan had included all of  
5 these forms of communications.

6 I want to emphatically state that it was a  
7 combined effort among Entercom, Clear Channel, the  
8 FCC, and local public utilities, that really kept WWL  
9 on the air. In addition, I'm proud to say that  
10 through the advanced planning efforts of FEMA and  
11 PPAC, we had some amazing successes.

12 And I'll just wrap this up. I'd like to  
13 personally thank Mr. Chanel LaGarde of Entergy for his  
14 resolute drive to re-establish normal utility power to  
15 WWL's transmitter site, as well as Mr. Peter Doyle and  
16 Mr. Richard Lee at the FCC for their service and  
17 attention to not only the needs of the broadcasters,  
18 but also the general public.

19 And I'm very thrilled and pleased to be  
20 able to serve on this panel. Thank you.

21 CHAIRPERSON VICTORY: Thanks, Marty. Let  
22 me turn next to Jim Jacot, the Vice President of  
23 Cingular Network Group at Cingular.

24 MR. JACOT: Good afternoon. Nancy, I  
25 would like to thank you, Commissioner Martin --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Chairman Martin, and the Commission for leading this  
2 effort and for giving us the opportunity to  
3 participate in providing the solutions to Katrina-type  
4 disasters in the future.

5 Like most of us here, Cingular had  
6 experience in operating through natural and some man-  
7 made disasters. So prior to Katrina, our disaster  
8 recovery plans were documented, restoration procedures  
9 were rehearsed, and provisions were laid aside.

10 Past experience with hurricanes had taught  
11 us to expect three points of probable failure during  
12 the event: loss of commercial power, loss of  
13 telecommunications connections to our cell sites in  
14 the area, and damage to the towers themselves, usually  
15 to the antenna arrays.

16 Solutions to these are well known. We've  
17 applied them in the past. Getting generators out to  
18 locations that don't have permanent generators in  
19 place, fuel to power the generators, tight  
20 coordination with the local exchange carriers to get  
21 the communications back up and when that fails, using  
22 microwave equipment to establish new connections, and  
23 getting technicians -- an army of technicians out  
24 there to be able to deploy all these assets, and then  
25 the logistics and supplies behind them to keep those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technicians fed, housed, and to keep the materials  
2 coming they need to get the job done.

3 As long as we have ample volumes of  
4 generators, fuel, and equipment, and the technicians  
5 are made available, our experience is, is that  
6 generally within 24 hours, we're in full swing in  
7 restoration, we're getting critical services restored.

8 Within 72 hours, most of the network's back up, and  
9 by the end of the week, we're taking our generators  
10 back and heading down the road being prepared for the  
11 next disaster.

12 So 48 hours before Katrina made landfall,  
13 we had 400 -- 500 portable generators; three portable  
14 cell sites, including some that were satellite-  
15 enabled; about 250,000 gallons of fuel; and an army of  
16 communication technicians that were either at or en  
17 route to our pre-staging areas.

18 These areas are provided close enough to  
19 the expected event that they can get there quickly  
20 after disaster strikes, but not so close that they  
21 become part of the casualty list themselves.

22 We had also opened up reciprocal local  
23 roaming with T-Mobile, the other major GSM provider in  
24 the area, to allow all GSM subscribers every  
25 opportunity to complete their calls, both during the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 heavy traffic periods while pre-hurricane evacuation  
2 was taking place, through the hurricane and then  
3 through the restoration period afterwards.

4 By the morning after Katrina landed, it  
5 was clear that this was not a normal hurricane event.

6 Damage was both intent and widespread. The hurricane  
7 inflicted significant damage to our wireless service  
8 infrastructure in Mobile, Alabama; Jackson and  
9 Hattiesburg, Mississippi; Lafayette and Baton Rouge,  
10 Louisiana; and lighter damage in Florida and  
11 Birmingham, Alabama. In these areas, service was  
12 never lost, but coverage was significantly impaired.

13 However, damage to New Orleans, Louisiana  
14 and the Gulfport-Biloxi, Mississippi area was more  
15 extensive, and large portions of these areas were  
16 completely off the air.

17 Where the impact from a normal hurricane  
18 was several hundred cell sites off the air for 24 to  
19 48 hours, at the worst of Katrina, we had over 1,000  
20 cell sites off the air, and in certain areas, the  
21 restoration time was not measured in days, but rather  
22 weeks.

23 The most serious damage to our own network  
24 and to the commercial power and local exchange  
25 networks we depend on, was from the flooding that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 occurred, primarily in the New Orleans area. In New  
2 Orleans, we lost one switch in one of our two  
3 switching centers, and all other switches were  
4 isolated as a result of losing telecommunications out  
5 of the building.

6 It's worth noting that we had deployed  
7 fault-resistant transport rings from multiple local  
8 exchange carriers, so we had both physical diversity,  
9 as well as carrier diversity. However, all transport  
10 facilities to both switching centers completely  
11 failed. We had no connectivity at all out of either  
12 one of those.

13 And the loss of the local exchange carrier  
14 switching centers meant that our New Orleans  
15 subscribers couldn't receive calls, even when they  
16 weren't located in New Orleans. Even when they'd  
17 evacuated to all the other areas, calls couldn't get  
18 to them, because they had to route through the local  
19 exchange carrier's switches, which were also down.

20 The network in Biloxi was isolated from  
21 its host switching center in Mobile, Alabama. By the  
22 end of the week following Katrina, service had been  
23 fully restored to Mobile, Jackson, Hattiesburg,  
24 Lafayette, Baton Rouge, and surrounding areas, as well  
25 as all of Florida, although a few pockets of weakened

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or reduced coverage remained.

2 Service had been partially restored to the  
3 Biloxi-Gulfport area, and some very limited service  
4 was available in part of New Orleans. Two weeks after  
5 Katrina hit, service had been predominately restored  
6 to Biloxi-Gulfport area, although there was some  
7 congestion generated by the higher-than-normal demand  
8 on services, as people were depending heavily upon  
9 their cellular phones for their basic communications.

10 The local elect cannons were back in  
11 service, restoring the ability of calls to be  
12 completed to our customers who had evacuated the area.

13 Service in the most damaged parts of New Orleans  
14 remained very restricted at that point.

15 Even a month after the disaster, we still  
16 had hundreds of generators running to provide power to  
17 equipment and as of today, 23 of those cell sites are  
18 still on backup generators.

19 What worked well? We never did run out of  
20 materials. The generators, fuel, equipment and  
21 technicians that we needed in order to continue to  
22 restore service, we never ran short of. We never had  
23 to wait because we didn't have a generator when we had  
24 an opportunity to deploy it, and we never had  
25 generators run out of fuel because we didn't have fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to provide.

2           Coordination, cooperation with emergency  
3 response organizations and other telecommunications  
4 companies was very good. There was -- we felt  
5 everybody pitched in. There was no competition during  
6 Katrina. Everybody was there to do what they could to  
7 get service back to customers.

8           Certainly, or as an example, Bell South, a  
9 local exchange carrier, set up a network operations  
10 center to service wireless carriers, giving us an  
11 opportunity to coordinate closely with Bell South and  
12 the other wireless carriers, setting priorities for  
13 getting local transport set up to cell sites and  
14 keeping us well informed about where service was going  
15 to be restored and where it was going to be longer.

16           Also, the expeditious granting of  
17 temporary operating authority for microwave licenses  
18 by the FCC allowed us to get microwave up where we  
19 couldn't get transport up otherwise.

20           What didn't work well? The damage to the  
21 commercial power grid and landline telecommunications  
22 in the core areas of New Orleans. The long-term loss  
23 of commercial power meant that we needed a massive and  
24 long-term effort to deploy generators and continuously  
25 re-supply fuel, adding to the challenge of moving

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 materials in and out of the impacted areas.

2 While we could deal with the loss of  
3 telecommunication links at the individual cell site,  
4 the loss of links for our switching centers and loss  
5 of the elect tandems had fewer solutions.

6 The lack of access to the impacted area.  
7 There were areas of the Louisiana and Mississippi  
8 coast where we could not access our equipment sites  
9 for many days. While the security concerns which  
10 dictated these delays were valid, they slowed our  
11 ability to assess the damage situation and to provide  
12 service restoration. Even when we brought in our own  
13 private security forces in order to facilitate this,  
14 we were still restricted by both safety concerns,  
15 particularly during nighttimes, as well as just where  
16 access was allowed.

17 Lack of communication services. Like  
18 everybody else, we were impacted by the lack of  
19 communications. We did deploy satellite phones. We  
20 had over 1,000 satellite phones in use at one time.  
21 Several hundred loaned out to emergency response units  
22 outside of our company, as well as ones we were using  
23 internally, but even the satellite phones were  
24 severely impacted by the congestion resulting from the  
25 high demand placed on the system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           In addition, we did provide in excess of  
2 1,000 free cell phones, countless batteries, and  
3 suspended billing of wireless service for up to 30  
4 days to try to ease the burden of people who were now  
5 depending upon wireless service for their primary  
6 needs of communications.

7           As a result of the lessons we learned in  
8 Katrina, we are implementing some significant changes  
9 to our disaster response procedures and resources. We  
10 believe these changes will improve the speed and  
11 effectiveness with which we can respond to large-scale  
12 disaster incidents such as Katrina presented.  
13 However, our dependency on commercial power, the  
14 landline communications link, and quick access to  
15 impacted areas remains.

16           We appreciate the opportunity to work with  
17 this panel and to contribute to solutions which will  
18 serve to provide a faster, more effective  
19 telecommunications response to future Katrina events.  
20 thank you.

21           CHAIRPERSON VICTORY: Thanks very much,  
22 Jim. Let me turn next to Tony Kent, Vice President,  
23 Engineering and Network Operations for Cellular South.

24           MR. KENT: Thank you, Madame Chairman. I  
25 also want to say I'm pleased to be a part of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 panel. Cellular South is a regional wireless provider  
2 based in Jackson, Mississippi, and we operate in all  
3 or parts of five southeastern states.

4 The areas that we cover that were most  
5 impacted by Katrina were coastal and south  
6 Mississippi, coastal Alabama and to a lesser degree,  
7 central and even north Mississippi.

8 I want to make a few points about  
9 infrastructure, good and bad, and fellow panel members  
10 have already made all of my points, so I'll be brief.

11 I think we all saw the same problems with this -- Yes  
12 we do.

13 First, many, and actually most of our cell  
14 sites in the direct path of the storm were knocked off  
15 the air temporarily, due to, guess what, backhaul,  
16 primarily, and then with power.

17 So -- and some of them were flooded by  
18 this storm surge of 30+ feet, and all of those had to  
19 be completely replaced. We also had, as has already  
20 been pointed out, a great deal of line and antenna  
21 problems from all of the wind.

22 Some of the successes. A good disaster  
23 plan in place with the major infrastructure vendors,  
24 which for us was switch and cell site vendors, line  
25 and antenna suppliers, and particularly microwave

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 vendors. I want to say one word about, specifically,  
2 unlicensed microwaves, and I think that's been brought  
3 up in here. That was instrumental in us getting our  
4 network back on the air, to hop over the bad T1 links.

5 Backup generators are absolutely  
6 indispensable. They have to be there, and they have  
7 to work, and one more point about them is you have to  
8 fuel these things, and having fuel is absolutely  
9 essential, but getting the fuel in to where these  
10 things is also a problem -- a real problem, and there  
11 needs to be coordination between the public safety  
12 people and us carriers prior to a disaster like this  
13 so that we know that we can have access to our sites.

14 Another thing that held up well was the  
15 tower systems. There were thoughts after the  
16 hurricane that all the towers had been knocked over.  
17 This was not the case at all. In fact, of all the  
18 towers that Cellular South owns along the Gulf Coast,  
19 we had none that were knocked down or had to be  
20 replaced, and only one of the towers that we rent  
21 space on was damaged to the point that it had to be  
22 replaced. So this was a good point for us.

23 Issues that need attention. I've already  
24 spoken about the need for fueling these generators and  
25 getting access into these areas to fuel the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 generators, and also prior to a disaster, for carriers  
2 such as ourselves, Jim and all the other guys, to meet  
3 with the public safety officials and to make sure that  
4 we have a good plan of how we can get in and out and  
5 get access to our sites to get them back on the air.

6 Thank you.

7 CHAIRPERSON VICTORY: Thank you, Tony.  
8 Let me turn next to Kelly Kirwan, Vice President,  
9 State and Local Government and Commercial Markets  
10 Division at Motorola.

11 MR. KIRWAN: Good afternoon. I wish to  
12 thank Chairman Martin for convening this panel on a  
13 topic that is vital to the health and safety of all  
14 Americans. I also want to thank Commissioners Copps,  
15 Adelstein, and Tate, and express appreciation to Nancy  
16 Victory for chairing this panel, and further  
17 acknowledge my fellow panelists and our wonderful  
18 customers on the panel, who bring a wealth of  
19 knowledge and experience and information to the table.

20 My name is Kelly Kirwan. I'm Vice  
21 President of Motorola's State and Local Government and  
22 Commercial Markets Division, with responsibility for  
23 sales in 26 states in the eastern United States and  
24 Washington, D.C.

25 Today I'll be addressing the public safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 side of our business. I led Motorola's emergency  
2 response team in the wake of Hurricane Katrina's  
3 devastation to the Gulf Coast, and welcome the  
4 opportunity over the next six months to share with the  
5 Commission our experiences during this tragedy and our  
6 recommendations for the future.

7 Our history in providing mission-critical  
8 public safety voice and data communications dates back  
9 to over 77 years. The communications systems we  
10 develop are in use across America, connecting police,  
11 fire fighters, and emergency management, and many  
12 other government agencies.

13 In these brief comments, I will express  
14 Motorola's views on the communications issues, which  
15 affect first responders' and federal officials'  
16 ability to communicate during Hurricane Katrina. I  
17 will also present a wide range of solutions available  
18 to better prepare our public safety communications  
19 systems and first responders for such disasters in the  
20 future.

21 Motorola has about 20 public safety  
22 customers, primarily the Louisiana State Police,  
23 Counties in Mississippi, and Parishes in Louisiana,  
24 that were impacted. Approximately 72 hours to Katrina  
25 making landfall, we activated our corporate emergency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 response plan. As a result, we surveyed and  
2 inventoried every single piece of public safety  
3 emergency communications equipment, ordered surplus  
4 equipment, and shipped it immediately to staging areas  
5 in the Gulf Coast region. We mobilized more than  
6 100,000 pieces of equipment, and more than 300 of our  
7 employees were on the front lines working directly  
8 with customers to anticipate needs, understand their  
9 issues, implement contingency plans, and offer any  
10 additional assistance.

11 Why were so many public safety  
12 communications systems taken down by the storm?  
13 Simply put, Katrina, at one point a Category 5  
14 hurricane, was tremendously devastating, with  
15 extraordinary and accompanying flooding. Even the  
16 most robust and reliable public safety networks are  
17 vulnerable to these conditions.

18 Together, our responses to Hurricane  
19 Katrina and Rita have become the largest disaster  
20 recovery effort in our history. What lessons can be  
21 drawn from the hurricanes? There are several.

22 One is communication systems need to be  
23 designed and constructed for worst-case scenarios  
24 expected in the local regions. First responders have  
25 called this a need for reliable operability, meaning

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that the systems must first survive and function.  
2 Systems that are designed to survive worst-case  
3 scenarios must be part of the planning for new and  
4 upgraded systems. Even relatively new systems should  
5 be examined to determine whether additional hardening  
6 is needed.

7 This is location specific. There is no  
8 one-size-fits-all solution. Whether the risks are  
9 hurricanes along the coast, twisters in Tornado Alley,  
10 or earthquakes along major fault lines such as those  
11 on the west coast and in the Midwest, Katrina has  
12 taught us one overriding lesson. If we don't prepare  
13 for the worst-case disasters, our systems will be very  
14 vulnerable when they do occur.

15 Second, operability must be augmented by  
16 the larger notion of true interoperability. Katrina  
17 is yet another reminder of the inadequacies of  
18 responding to agencies' ability to effectively talk to  
19 one another by private radio. Spectrum, money, and  
20 planning are all part of the solution.

21 We have a national standard for  
22 interoperability. Over ten years ago, the first  
23 responder community recognized that one open standard  
24 for future digital wireless systems was imperative.  
25 They created the standard known as Project 25. Today,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there are more than 20 manufacturers of Project 25  
2 equipment for public safety.

3 While most state-wide system plans  
4 incorporate the Project 25 standard, local and state  
5 agencies don't have adequate funding and spectrum for  
6 a long-term fix of system availability and  
7 interoperability.

8 The Department of Homeland Security has  
9 estimated that it could take 20 years to complete this  
10 work at the pace it is currently being funded. There  
11 is a growing consensus that this pace must be  
12 accelerated significantly. Both the House and Senate  
13 have approved legislation to transition television  
14 broadcasters from the 700-megahertz band by 2009. It  
15 is absolutely vital that this legislation become  
16 completed and become law, because it will finally free  
17 up spectrum that has been allocated to public safety  
18 for nearly a decade.

19 Spectrum is one advantage that New Orleans  
20 did have, because TV broadcasters are not blocking  
21 700-megahertz public safety spectrum, allocations in  
22 New Orleans or Louisiana. This spectrum was available  
23 for first responders. As a result, Motorola was able  
24 to bring in emergency trucks operating on this  
25 spectrum, hand out hundreds of radios, and operate as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 soon as first responders needed the system. Without  
2 700-megahertz being available in the Gulf Coast  
3 region, things could have been much worse.

4           Should a major emergency arise today in  
5 cities like New York, Los Angeles, or San Francisco,  
6 that additional spectrum would not be available to  
7 first responders.

8           Third, resources should be provided to  
9 assure mission-critical public safety communication  
10 can be restored on an emergency basis in any area of  
11 the country within 12 hours. One way to accomplish  
12 this is preposition around the nation vehicles that  
13 are self-contained and come equipped with hundreds of  
14 portable radios for immediate deployment.

15           Fourth, priority must be given to  
16 alternative sources of energy, such as portable fuel  
17 cell cartridges to power handheld public safety radios  
18 in the event of electric power outages preventing  
19 recharging radio batteries. With this technology,  
20 radios can be re-fueled on the go, even if electric  
21 power to chargers has not been restored.

22           Fifth, we must augment our primary  
23 networks with alternative technologies that can  
24 provide situational communications, such as mesh  
25 networking and satellite. We should move towards a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 more sophisticated use of existing satellite  
2 communications to tie together different government  
3 entities during emergencies. Recently, Motorola  
4 tested a Project 25 voice call, along with a live  
5 video screen, over a broadband satellite link. This  
6 demonstrate the immensely flexible use of this Project  
7 25 standard, which can connect any public safety,  
8 military, or relief vehicle.

9 Any vehicle having an innovative satellite  
10 antenna can be in communications with a broadband,  
11 geosynchronous earth-orbit satellite. That satellite  
12 then takes the signal, whether voice or broadband  
13 data, and returns it to any other location with  
14 command and control capabilities outside the immediate  
15 area of disaster.

16 Signals could also be routed between  
17 vehicles in different areas where they, in turn, can  
18 provide hotspots for first responders' portable  
19 handsets, also using Project 25 technology.

20 Mesh networking, with its roots in the  
21 military, can serve as a rapidly deployable mobile  
22 broadband solution to relay critical information  
23 between responding units. Mesh can be used with pre-  
24 deployed infrastructure or an ad hoc broadband network  
25 formed instantly with other users. It is deployed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 quickly, because it does not require towers or other  
2 land-based infrastructure. Mesh uses multi-hopping  
3 technology to allow the devices, in police radios for  
4 example, to become the network. Such mesh-enabled  
5 architecture delivers real time data to detect,  
6 prevent, and immediately respond to any problems.

7 Sixth, an important component of the  
8 National Mission Critical Response Effort is a federal  
9 civilian agency system that is truly nationwide. It  
10 is usable in geographies that cover as much of the  
11 population as possible, and again is built on the open  
12 standard of Project 25.

13 This system must eventually be fully  
14 interoperable with state and local systems. While it  
15 exists to some extent in many federal agencies today,  
16 a nationwide federal law enforcement system is  
17 currently under procurement.

18 The Justice Department is acting on behalf  
19 of some 30 federal agencies to procure a network  
20 called the Integrated Wireless Network, or IWN, which  
21 will tie together existing Project 25 systems for the  
22 truly national federal agency system.

23 A final component of the Federal Mission  
24 Critical Communication Solution is an interoperable  
25 network of networks built on and operated by the U.S.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 military, largely covering only its U.S. military  
2 facilities, and again built to the Project 25  
3 standard. That network of networks has been mandated  
4 in DoD directives, and is about 75 percent complete or  
5 funded.

6 In conclusion, there is ample room for  
7 improvement in serving the American people's need  
8 after any disaster, whether caused by terrorism or  
9 Mother Nature. Fortunately, there are clear ideas for  
10 improvement to be readily achieved with dedication and  
11 sufficient spectrum and financial resources.

12 I look forward to working with this panel  
13 to consider these and other emergency recommendations  
14 we may take to the FCC for consideration.

15 CHAIRPERSON VICTORY: Thank you, Kelly.  
16 Next up is Jonathan Linkous, Executive Director of  
17 American Telemedicine Association.

18 MR. LINKOUS: Thank you, and thanks for  
19 the opportunity of participating and providing some  
20 comments. It's an important panel; it's been an  
21 interesting day, a lot of interesting comments  
22 already.

23 American Telemedicine Association  
24 represents medical service providers around the  
25 country who use telecommunications to provide clinical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 services over distances. There are about 200 medical  
2 networks, telemedicine networks in the country today,  
3 linking every major hospital system and a little over  
4 3,500 sites, anywhere from a rural clinic to a  
5 suburban hospital to a doctor's office to schools, all  
6 over the country.

7 In the affected area, in Mississippi, for  
8 example, there is a telemedicine network that links  
9 about 11 sites throughout the state with the  
10 University of Mississippi Medical Center, which is  
11 located in Jackson, Mississippi, which is the only  
12 Level I trauma center in the state.

13 For those of you who don't know, Level I  
14 trauma center is the most advanced life support care  
15 center, where you would take those medical cases that  
16 are the most in need of medical care.

17 In Louisiana, LSU Hospital, located in New  
18 Orleans, serves, or shall I say used to serve, eight  
19 state hospital systems and provide medical care, as  
20 well, to the correctional care system. If you needed  
21 medical specialists located in some other part of the  
22 state, you would get referred either directly or  
23 through telemedicine to the hospital center located in  
24 New Orleans. That hospital is now open for seeing  
25 some patients and clinics but needless to say, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 medical system is down.

2 One of the causes, one of the results, I  
3 guess, of the hurricane to the medical centers in the  
4 affected area was a tremendous utilization of the  
5 medical services. The medical center in Jackson, for  
6 example, received over five times its normal referral  
7 services -- referral patterns from patients  
8 transferred in to them, not only from ambulances, but  
9 from private cars, from police cars, coming not just  
10 from their surrounding area, but from other states.

11 In many cases, the hospital and hospital  
12 staff had no idea what they were coming in with, what  
13 the problems were, or how many people were going to  
14 come in, thus linking some of the issues that we had.

15 Fortunately, at least the medical centers  
16 in some areas like in Baton Rouge and in Jackson were  
17 able to create their own video networks to link the  
18 local hospitals in those areas so that they would have  
19 some ability to share information about what patients  
20 were coming in.

21 However, there was a considerable problem,  
22 of course as everyone has shared here, not only  
23 getting access to telecommunications networks that  
24 were largely down, at least for the first few hours,  
25 maybe first few days, but getting access to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 existing emergency network services that were going on  
2 and may be available to other providers in the area.

3 Remember, in a Level I trauma center, that  
4 is where a lot of the first responders, where a lot of  
5 emergency vehicles, that's where they end up. That's  
6 where they end up going to collect information, to  
7 take patients, and a lot of times, those are the very  
8 centers that are not getting the information and not  
9 getting part of the network, so they're operating  
10 blind in many cases.

11 There's the call priority centers and call  
12 priority regulations in this country that we've  
13 mentioned several times there's a concern about how  
14 those are operated and whether medical centers are  
15 part of that. I think that's something that this  
16 group should look into, take a look at and see, and  
17 then a couple of other suggestions.

18 Of course, the medical centers that we  
19 deal with, that we work with, are all interested in  
20 telecommunications networks that are safe, secure, and  
21 consistent in providing the medical services. It's  
22 not okay to have seven hours. It's not okay to have  
23 three hours down when you have a patient that needs  
24 care immediately, and if you can have an emergency  
25 surgeon get on the videophone and be able to see a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 patient and provide immediate care and referral  
2 services, that makes a difference every day. Every  
3 day that makes differences in people's lives.

4 So what our hospital systems are looking  
5 at, too, right now are looking at redundant systems,  
6 not only using the public switch network, not only  
7 looking at the networks that are out there -- that  
8 have done tremendous work in trying to get the systems  
9 back up -- but looking at other types of networks,  
10 alternative providers, other types of systems that  
11 they can use on an ongoing basis to ensure that their  
12 network is up and the communications system is up 24/7  
13 without any interruption whatsoever.

14 There's military communications channels  
15 that were being used throughout the area, and I think  
16 that was a tremendous help. Unfortunately, I the  
17 communications systems that were deployed by the  
18 military were not able to interface with the existing  
19 medical systems, the telemedicine networks, the  
20 medical communications networks that were out there,  
21 and so in several cases, there were many hours that  
22 were lost in trying to link up video signals into the  
23 existing medical networks that were out there that  
24 either the military or the DMAT teams were using.

25 DMAT, of course, is an important system,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 providing emergency medical care into the affected  
2 areas. However, one of the problems there is the  
3 medical system in DMAT has not really taken advantage  
4 of a lot of the communications and advanced networking  
5 that a lot of the members around this table can offer  
6 them.

7 At the time of the situation with  
8 Hurricane Katrina, I was in direct contact with the  
9 directors of the DMAT teams and the Department of  
10 Health and Human Services. They were totally unable  
11 to do anything with medical response teams, even  
12 though our association had probably 50 to 60 hospitals  
13 around the country volunteering time of their medical  
14 staff using telecommunication services to provide  
15 services remotely using telecommunications into the  
16 areas that might have needed services.

17 In some areas, it was probably feast or  
18 famine. I'm sure there's a lot of areas where there  
19 was too many people providing assistance, too many  
20 people providing us support, and I know of many cases  
21 where there were some hospital systems that were sent  
22 in and medical providers that were sent in, but  
23 probably not sent to the right place, and not sent to  
24 the right specialist at the time.

25 Again, communications networks linking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 into the first responders and some of the people on  
2 the ground would have made a tremendous difference.

3 Finally, as I mentioned before, one of the  
4 other things that we saw in a case as severe as  
5 Hurricane Katrina is a tremendous amount of transfer  
6 of patients between states. Within communication  
7 networks, state boundaries are important, but in the  
8 medical networks, the state boundaries are law.

9 If you're licensed in Mississippi, you  
10 can't practice in Alabama, except in some emergency  
11 situations. The medical networks and medical systems  
12 are built within those states. So it becomes very  
13 difficult in times of disaster, when you have so much  
14 migration of patients and need from one hospital or  
15 one clinic in one area, to communicate with systems  
16 located in another state.

17 Following the September 11 disaster in  
18 this country, the former chairman of the FCC asked ATA  
19 to provide a white paper on what could be done. Our  
20 recommendation was to support the interconnection of  
21 medical systems across state boundaries, between  
22 telemedicine sites.

23 We felt like that was a very critical way  
24 of providing assistance and providing, again,  
25 communications so that these trauma centers and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 medical centers would be able to understand where the  
2 patients are coming from and where the need is.

3 That is what we suggested to the FCC four  
4 years ago, and I would say that's what we suggest to  
5 the FCC today, as well. Thanks.

6 CHAIRPERSON VICTORY: Thank you, John.  
7 Let me turn next to Adora Nweze, the President of the  
8 Florida State Conference of the NAACP. She is also a  
9 member of the National Board of Directors of the  
10 NAACP, and was the director of their hurricane relief  
11 efforts, as well.

12 MS. NWEZE: Thank you, Madame Chair. I  
13 certainly would like to join my other panel colleagues  
14 in thanking both you and Chairman Martin for pulling  
15 us together and then inviting us to participate.

16 Within the NAACP, I want to just bring a  
17 few remarks and do it the other way around. I'd like  
18 to start out with our recommendations first.

19 It's very important to us, as we have  
20 worked very hard in the aftermath of Katrina and every  
21 other hurricane that's hit this land, we are concerned  
22 about the fact that English-only policy in this  
23 country has not allowed us to get information out to  
24 people who speak other languages.

25 It doesn't matter whether it's one person

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or more than one, and in addition to getting the  
2 information -- emergency information out to people who  
3 speak other languages, we also want to ensure that  
4 people who are staffing the emergency agencies speak  
5 other languages, to be able to communicate, and that  
6 includes the medical field, as well.

7 We are concerned -- that's short-range.  
8 That's something that I think this panel can make a  
9 recommendation on, and I think funding can be  
10 allocated. It's minimal cost, compared to everything  
11 else, and it can be done without a whole lot of bru-  
12 ha-ha about it. That's short-term.

13 On a long-term basis but nonetheless  
14 equally as important, there needs to be an  
15 infrastructure put in place. Once we get the  
16 infrastructure put in place, we need, through our  
17 various agencies sitting here, to be able to access  
18 communities that don't get any information.

19 For example, when we talk about those who  
20 are physically and mentally challenged, when we talk  
21 about the elderly, when we talk about the poor, I want  
22 you to know right now, many of those communities have  
23 not gotten anything. We found them as we moved  
24 around. As a community-based organization, we hit the  
25 ground and we know what's on the ground, and we can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tell you that we can do better than this, we think,  
2 certainly through communications. We can find a way  
3 to find out where everybody who is living in a  
4 community is located.

5 Obviously, in the New Orleans effort, as  
6 we all worked so hard to try to reconstruct and  
7 rebuild, we want to be able to bring those individuals  
8 and families back, and I think the agencies sitting  
9 around this table are going to be absolutely key in  
10 the restoration effort, as well as getting ready for  
11 five months from now, because we've only got five  
12 months to get ready for the next hurricane, and I  
13 understand that season will be worse than the ones  
14 we've seen in the past. So we need to gear up, and  
15 gear up in a hurry.

16 Having said that, I want to share that the  
17 NAACP has 2,200 units across this country, and in  
18 Alaska, Germany, and Japan. We went online in the  
19 aftermath of Hurricane Katrina and developed command  
20 centers in Biloxi, Mississippi and Jackson,  
21 Mississippi and Baton Rouge, and we put one in Fort  
22 Walton Beach to provide support to Alabama. And  
23 through those centers, we funneled all of our  
24 resources: food, clothing, moneys for individuals and  
25 families, educational resources for children that had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 been displaced, and building communication with over  
2 100 partners.

3           Next month, we're going to roll out a plan  
4 where we're going to be rebuilding houses in  
5 Mississippi, we're going to be rebuilding homes,  
6 obviously, in New Orleans with Habitat for Humanity  
7 and all of the other agencies that we are working  
8 with. We have a very strong relationship with the  
9 Department of Justice Office of Community Relations,  
10 with FEMA, American Red Cross, Salvation Army. There  
11 is not an agency in this country that the NAACP has  
12 not tapped to help us to bring relief, restoration,  
13 and rebuilding to those persons, individually and  
14 families that have been impacted and affected and have  
15 not yet to date been helped.

16           And so I think this participation on this  
17 panel through us is absolutely critical. As I work  
18 with you, I'm hopeful that we will be able to bring  
19 some semblance of support to all of these efforts,  
20 even though we cannot cure everything overnight. I  
21 understand that by June, the report will not reflect  
22 everything, but I do think the report can reflect some  
23 immediate short-term assistance and then make  
24 recommendations on long-term needs.

25           CHAIRPERSON VICTORY: Before I introduce

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our next speaker, I'm going to note that after he  
2 speaks, we'll take a short ten-minute break, just that  
3 everyone has a chance to stretch, and then we'll go  
4 into the home stretch of our panel members and their  
5 opening remarks.

6 So with that, let me introduce Eduardo  
7 Pena, a Board member of the League of United Latin  
8 American Citizens, for your remarks.

9 MR. PENA: Thank you very much, Madame  
10 Chairman. I appreciate the invitation to participate  
11 in this panel, and I hope that together, we can come  
12 up with some solutions that will help improve the  
13 quality of services that are provided to the people  
14 that are in need, particularly after these natural  
15 emergencies.

16 My name, again, is Eduardo Pena, and I'm a  
17 former national president of LULAC. Some of you may  
18 not be familiar with the name LULAC. It is an acronym  
19 for the League of United Latin American Citizens. It  
20 is an organization that was founded 78 years ago and  
21 has been around, mostly as a patriotic civil rights  
22 organization and a civil service organization.

23 We are the largest Hispanic organization  
24 in the country, and we have membership in all of the  
25 states throughout the country. Those of you who have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 heard, may have heard of the great increase in the  
2 number of Hispanics as part of the population of this  
3 country. Let me assure you that it is true, and that  
4 we have expanded into areas are not heavily populated  
5 by Hispanics, and now they are, including, of course,  
6 the area affected by Katrina.

7 We are very concerned. Our organization  
8 was involved in bringing food and money to the  
9 affected people in the area and we came back with  
10 horror stories about the conditions that afflicted the  
11 Hispanic community in the Katrina-affected area.

12 With respect to the mission of this panel,  
13 we learned that all of the communications, all these  
14 wonderful things you're talking about, all these  
15 heroic efforts that were made to restore  
16 communications in the area, didn't reach, didn't help  
17 the Hispanic community.

18 Most of the residents in that area, in  
19 Louisiana eastward all the way to the panhandle of  
20 Florida, are primarily immigrants or immigrants who  
21 have limited English capacity and who depend on  
22 Spanish language, still, to understand the basic --  
23 what they are supposed to do.

24 And because of that, they're greatly  
25 limited in terms of making friends and becoming

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involved and being integrated into the community, and  
2 most of those people are recent immigrants, but many  
3 of the total number of people in that area are  
4 limited-speaking, Spanish-speaking, limited-English-  
5 speaking capacity.

6 And so it turns out that there were a lot  
7 of accidents, a lot of miscommunications learned that  
8 affected the ability of people to get services, to get  
9 help, to be able to communicate about problems that  
10 they might have, and we need to make sure that in the  
11 process of this commission, that we make sure that  
12 services are expanded to include all people who are  
13 not able to communicate in English, as well.

14 There was one radio station in New Orleans  
15 that used to be the only Spanish station in the area,  
16 and it, of course, got wiped out by Katrina. But  
17 there was a lot of help provided by members of your  
18 industry to help bring it up and open it again, and I  
19 appreciate -- we appreciate that very much, because  
20 communication was badly needed.

21 But we need to have more stations that  
22 speak Spanish in that area, now that the community has  
23 increased tremendously in the last five years or so,  
24 and that would be a secondary effort.

25 You know, when I first came to Washington

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 many years ago, one common phrase that was heard in  
2 the area, in the telecommunications area and the  
3 broadcasting area, is that we said the spectrum  
4 belongs to the public. And then gradually, we stopped  
5 saying that. It was said very clearly by Commission  
6 staff and commissioners and including the Courts, but  
7 it's not mentioned very frequently now, and now when  
8 an emergency like this happens, we have to depend on  
9 the goodwill of those stations that want to do some of  
10 the efforts that you have made.

11 But it's a voluntary, a volunteer kind of  
12 thing, and whoever is helped is helped, and those that  
13 are not are not, and we need to make sure that we can  
14 reach everybody in these emergency situations.

15 That's my agenda in this Commission, and I  
16 would like to help develop an overall restoration of  
17 the relationship between the Commission and the public  
18 and the industry, so that all of our people are  
19 served. Thank you very much, Madame.

20 CHAIRPERSON VICTORY: Eduardo, thank you  
21 very much, and as I mentioned, we're just going to  
22 take a very quick ten-minute break and then come back  
23 for the introduction of our final group of panel  
24 members and their opening statements, and then we'll  
25 wrap up the meeting, so if I could ask everyone to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 prompt and be back in ten minutes, thank you.

2 (Whereupon, the above-entitled matter went  
3 off the record at 2:43 p.m. and resumed 2:56 p.m.)

4 CHAIRPERSON VICTORY: Okay, if I could ask  
5 the panel members to all take their seats, we'll get  
6 going again.

7 All right, continuing on with the  
8 introduction of our panel members and their opening  
9 statements, let me turn next to Billy Pitts, who is  
10 the President, Government Affairs, for Notification  
11 Technologies, Inc.

12 MR. PITTS: Thank you, Madame Chairwoman.

13 Our country's confrontation with natural  
14 disasters last year revealed with tragic clarity the  
15 need for the nation to raise emergency communications  
16 to a top priority.

17 I, too, want to commend Chairman Martin  
18 for creating this panel as an important first step in  
19 formulating a plan for achieving this crucial  
20 objective.

21 Our company, the NTI Group, Notification  
22 Technologies, Inc., specializes in providing a  
23 technological service that enables community leaders  
24 to reach large numbers of people within a narrow time  
25 frame with messages that arm them with critical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information before, during, and after unplanned  
2 incidences.

3 This new time-sensitive information, or  
4 TSN, technology, is a proven means of augmenting  
5 existing modes of emergency communications. TSN  
6 technology such as employed by us marries advanced  
7 computing with the near ubiquity of phone service to  
8 allow officials to record a voice message and have it  
9 delivered to thousands of people in minutes via cell  
10 phones, landlines, or a standard email account.

11 The best thing about this technology, it  
12 does not require government officials to install new  
13 equipment or learn new technology. Once set up, all  
14 that an authorized user needs to record and send a  
15 message to an entire community or a pre-determined  
16 emergency operations team is access to a landline or  
17 cell phone and a user name and personal identification  
18 number.

19 Should the user wish to send his or her  
20 message to a special group, the user simply logs onto  
21 a password-protected account to select the recipients.

22 Calls are delivered by multiple carriers  
23 using multiple streams of delivery: standard phone  
24 lines, VIOP, email, etc. And phone numbers are stored  
25 in multiple, highly secured data centers to minimize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 issues such as one region experiencing a power outage,  
2 hurricane flood, or some other type of damage that  
3 might make it impossible to deliver a call.

4 In this regard, TSN service providers  
5 represent a quantum leap forward from the older, auto-  
6 dialer systems. While those systems typically can  
7 take hours, if not days, to deliver large numbers of  
8 messages, TSN providers such as NTI have the capacity  
9 to originate hundreds of thousands of 30-second  
10 messages in a half and hour.

11 Further, good TSN providers utilize robust  
12 programming to monitor local telephone congestion, the  
13 last mile, throttling calls up or down, to help ensure  
14 that calls are delivered efficiently without  
15 overloading the system.

16 We also have the ability to record and  
17 send messages in multiple languages. A household that  
18 is designated as Spanish-speaking, for example, all  
19 messages will be sent to them in Spanish.

20 TSN systems such as those developed by NTI  
21 have interactive capabilities. They not only deliver  
22 messages, but they allow the recipients to communicate  
23 back to the sender. For example, the sender can  
24 inquire whether a recipient is in need of assistance,  
25 and the recipient, using his or her phone's touchtone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 capability, can send an appropriate response, greatly  
2 facilitating relief efforts.

3 In addition, the system provides automatic  
4 reports regarding the success or failure of a call  
5 attempt, indicating whether the call has been received  
6 by a live person, an answering machine, or has gone  
7 unanswered or failed to go through due to network  
8 congestion, and I have provided you all with graphic  
9 representation of one of the Parishes in Louisiana.

10 TSN systems were dramatically demonstrated  
11 during last year's hurricanes. School systems in the  
12 areas affected by the storms used the NTI connect-ED  
13 system to deliver over 2,300,000 hurricane-focused  
14 message to members of the public.

15 Before and after Hurricane Katrina and  
16 Hurricane Rita, the East Baton Rouge Parish School  
17 District used NTI connect-ED system to send urgent  
18 messages to more than 34,000 phone numbers, multiple  
19 times, to inform family and police about the situation  
20 at the school.

21 After the storm made landfall, the  
22 Lafayette Parish School District sent messages to  
23 nearly 300 transportation employees to request that  
24 they volunteer their assistance in a city-wide rescue  
25 operation. The parish also delivered several messages

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to over 56,000 phone numbers regarding pre- and post-  
2 Katrina school closings, and over 61,000 phone numbers  
3 pre-Hurricane Rita, an indication of the increase in  
4 contact information after the first storm.

5 I could give you numerous examples from  
6 school districts impacted by hurricanes, but the most  
7 pertinent to our discussions in this panel may be  
8 demonstrated by the techniques employed by St. Charles  
9 Parish School District.

10 In addition to sending out an evacuation  
11 message to over 21,000 phone numbers in advance of  
12 Hurricane Katrina, the communications director,  
13 Rochelle Cancienne, continued to use the system in the  
14 storm's aftermath to assist her parish's emergency  
15 operations center to better communicate with its  
16 citizens.

17 Working with our client care center  
18 frequently at 2:00 a.m., when she could get a call out  
19 over her own cell phone, she was able to provide  
20 guidance when the local news stations and radio  
21 stations were inoperable, help residents understand  
22 the extent and location of damage within the parish,  
23 reassure district employees, the largest employee base  
24 in the parish, that they would continue to be paid,  
25 regularly update constituents as to their progress

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 against the reconstruction schedule, and establish a  
2 special subgroup for ongoing communication with the  
3 additional parents that the school district took in  
4 just weeks after they were dislocated from other  
5 school districts in the greater New Orleans area.

6 Additionally, St. Charles Parish School  
7 District helped the parish's emergency operations  
8 center to monitor the capacity of the local telephone  
9 lines by constantly analyzing their call delivery  
10 reports, and I think I've provided you with that  
11 information.

12 The district saw call delivery success  
13 rates dip as low as 8 percent on August 29, but  
14 climbed back up to 28 percent just seven days later.  
15 Within a month, the district was back to a standard  
16 80 percent plus success rate.

17 Ms. Cancienne told us afterwards that the  
18 system played a key role in holding the community  
19 together. As she noted prior to implementing the NTI  
20 connect-ED system, the school systems most effective  
21 means of mass communications was over a PA system at  
22 Friday night football games.

23 As a result of the lessons learned,  
24 St. Charles Parish Schools is now collecting data  
25 three times a year, rather than once a year in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       October, to ensure that data is up-to-date.  
2       Additionally, the district is accepting relocation  
3       contact information so that they can communicate with  
4       staff and families who have evacuated, better assuring  
5       that they will receive the message when local  
6       telephone lines might be impacted within the parish  
7       itself.

8                 In the future, the district would like us  
9       to work with the phone company to overlay data to  
10       determine where outages have been repaired. Our  
11       experience and that of our school system clients  
12       during the summer's hurricanes demonstrated the  
13       significant role that time-sensitive notification can  
14       play in all kinds of emergency situations.

15                Therefore, we have launched a new service,  
16       Connect CTY, tailored for use by smaller and mid-size  
17       municipalities.

18                I look forward to working with all of you  
19       and thank you again.

20                CHAIRPERSON VICTORY: Thank you very much,  
21       Billy. Let me turn next to Major Michael Sauter, the  
22       Commander of New Orleans Police Department's Office of  
23       Technology and Communications.

24                MAJOR SAUTER: Hello and thank you. I am  
25       Major Mike Sauter with the New Orleans Police

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Department, and I know firsthand the effects of  
2 communications failure related to Hurricane Katrina.

3 And like some employees that you all  
4 mentioned, me being one of them, the day before the  
5 storm, I had a house, and still I have not found it.

6 During the storm and for the next week and  
7 many weeks after, but in particular during the storm  
8 the first week, I worked and lived in the Louisiana  
9 Superdome, keeping citizens safe and evacuating them,  
10 and we did, all the while not knowing where my family  
11 was, and they not knowing my status. Again, no  
12 communications.

13 Having said that, I'll talk about our  
14 status as a Police Department pre-Katrina, during  
15 Katrina, and post-Katrina.

16 Pre-Katrina, the City of New Orleans and  
17 the parishes of Jefferson, St. Bernard, and  
18 Plaquemines, had undertaken a project supported by a  
19 COPS grant to establish communications  
20 interoperability within the region. However, the  
21 project was 18 months from completion when Hurricane  
22 Katrina struck.

23 The project connected 17 local, state and  
24 federal agencies through ACU-1000 bridging technology.

25 Direct console patches linked the Jefferson Parish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Sheriff's Office and the New Orleans Police  
2 Department. We were attempting to leverage all  
3 available federal and local funds to eliminate the  
4 number of disparate voice radio systems and upgrade  
5 others to improve day-to-day operability and built  
6 interoperability. However, the funding was not there  
7 to support the requirement.

8 During Katrina, the City of New Orleans  
9 lost two primary tower sites and had to evacuate the  
10 police and fire communication centers because of  
11 flooding. Associated with the loss of the  
12 communications centers was the loss of all 911  
13 capabilities and the NOMIK interoperability bridging  
14 capability. Over 2,000 police, fire and EMS personnel  
15 were forced to communicate in a single-channel mode  
16 between radios utilizing three mutual-aid frequencies.

17 There was no voice radio contact with  
18 surrounding parishes or state and federal agencies.  
19 Lives were put at risk, and it created a direct  
20 operational impact on their ability to maintain  
21 control of the rapidly deteriorating situation within  
22 the city, carry out rescue efforts, and control the  
23 evacuation of those people who had failed to heed the  
24 call for evacuation.

25 Post-Katrina, today, we are working

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 diligently to restore voice radio communications, but  
2 it still has not been fully restored to pre-storm  
3 levels. Attempting to move toward regional and state-  
4 wide interoperability, the state has installed 700-  
5 megahertz antennas and repeaters. However, FEMA has  
6 denied funding for subscriber radios, which are needed  
7 in order to take advantage of the state architecture  
8 and tower sites.

9 FEMA has provided, as mentioned earlier,  
10 the St. Bernard and Plaquemines parishes with 700-  
11 megahertz subscriber radios, yet they cannot talk to  
12 the 800-megahertz system in New Orleans and Jefferson  
13 parishes, their region.

14 From an interoperability perspective, we  
15 are in worse shape today than we were before the  
16 storm. The storm has left the City of New Orleans and  
17 the parishes of St. Bernard and Plaquemines without  
18 funding. The parishes are unable to meet the cache  
19 match for the COPS grant, and will ask for a waiver to  
20 request -- for the requirement, but the overall value  
21 of the grant will be reduced 1,800,00, and this will  
22 further impact our ability towards interoperability.

23 FEMA funding for the COPS grants provides  
24 the only funding source for restoration of our  
25 communication systems and interoperability at this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 time. Based on our regional plan, we are moving  
2 forward, but from an interoperability perspective, we  
3 will be less prepared for 2006 hurricane season,  
4 unless we receive immediate funding and support from  
5 outside sources.

6 CHAIRPERSON VICTORY: Thank you very much.

7 Let me turn next to Marion Scott, Vice President of  
8 Operations of CenturyTel.

9 MS. SCOTT: Thank you, Nancy. I've been  
10 very impressed with the enthusiasm, the passion, and  
11 the knowledge of the folks who sit with me on this  
12 team, and I'm very, very proud to be a member of the  
13 team with folks like you. I think together, we'll be  
14 able to get some good things done.

15 CenturyTel is a full-service  
16 communications company, and is the eighth largest  
17 local exchange carrier in the United States, based on  
18 access lines served. We have around 2,500,000  
19 geographically clustered access lines in 26 states.  
20 We also operate an affiliate, LightCore, which  
21 includes a fiber network of nearly 14,500 route miles.  
22 Approximately 72 percent of that is lit, and it  
23 provides increased control of the company's transport  
24 needs in much of its central U.S. service. It's kind  
25 of like an expanded Louisiana Purchase area covered by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that affiliate.

2 In 2005, the company acquired  
3 approximately half of CLEC and fiber assets of KMC  
4 Telecom, which gave us access to fiber rings and  
5 customers in 16 Tier Two markets, so we have a CLEC  
6 arm of our company, as well.

7 In the southern region, CenturyTel has  
8 about 700,00 access lines. Katrina impacted about  
9 100,000 of those, and if you put Katrina and Rita  
10 together, about 24 percent of our access lines were  
11 impacted by the storms.

12 We had all local telephone service  
13 restored within a few days of the event, and I'm going  
14 to caveat that by saying where homes still existed,  
15 and Michael, I'm very sorry for your loss.

16 But we did find that other services that  
17 depended on the infrastructure that a lot of smaller  
18 and local telephone companies depend on, was impacted  
19 for four to six weeks, such as 800 service, a lot of  
20 people were getting all circuits busy and that kind of  
21 thing.

22 And then, of course, dependence on power  
23 restoration required prolonged alternate power source  
24 activity, primarily using generators, and that  
25 continued for some time after the initial restorations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were completed.

2           Being from Louisiana like some of you are,  
3 we use geographic-based words to describe our issues,  
4 and I'm going to refer to the bad stuff as "gators."  
5 So what were our biggest gators? One was the  
6 dependence on and vulnerability around utility  
7 infrastructure owners or providers for restoral and  
8 for information regarding restoral. Second was fuel,  
9 then there was security, and of course food and  
10 housing for workers.

11           I want to take this opportunity now,  
12 though, to thank members of the FCC who stayed in  
13 touch with us. Roger Woock and Tom Navin were our  
14 contacts. They were in touch with us very soon after  
15 the beginning of the event, and stayed in constant  
16 contact with us throughout, providing support for  
17 things like fuel, access, and security.

18           We had a restoration plan pretty well in  
19 hand and did secure our own fuel sources in North  
20 Monroe, Louisiana; Farmersville, Louisiana; and some  
21 parts of Texas, and took tankers into the area  
22 ourselves. But we did appreciate the concern and the  
23 follow-up efforts of those individuals from the FCC  
24 and Nancy, I hope you'll give them our regard, because  
25 we know that besides Tom and Roger, there are an awful

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lot of people working very long hours, always there.

2 So back to the gators. From a service  
3 restoration standpoint, during Rita and Katrina, we  
4 along with other smaller telcos that we talked to felt  
5 that we were sort of on our own as far as  
6 coordinating, getting things fixed, and trying to  
7 figure out what the next steps were.

8 We accomplished service restoration either  
9 by ourselves, if we controlled the infrastructure, or  
10 through, unfortunately, relationships with our carrier  
11 partners, and because we didn't have a structured  
12 organization to go to for things like restoral and  
13 information, we relied on back-door contacts with a  
14 lot of the companies with whom we do business and  
15 frankly, the better the relationship, the better our  
16 opportunities were for quick restoral.

17 There was no formal or consolidated  
18 intercompany process or a single or regional liaison  
19 to rely on. Our biggest issues included dependence on  
20 and therefore vulnerability with these other network  
21 providers, such as the tandems in New Orleans.

22 Briefly, CenturyTel customers couldn't  
23 call into New Orleans or to any of the offices that  
24 subtended off of those tandems, and of course this  
25 raised a lot of concerns as people tried to get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information about friends, relatives, status of  
2 property, and so on, including some emergency service  
3 problems that arose.

4 Additionally, once traffic began to move  
5 away from those tandems onto other switches, which it  
6 had to do, then some additional congestion arose and  
7 we experienced some all-circuits-busy conditions, as  
8 most of you probably also did when trying to either  
9 call in to the Louisiana area or, in some cases, out  
10 of the Louisiana area.

11 That continued for a full four to six  
12 weeks afterwards, and there are still some  
13 intermittent problems that arise. We've transferred  
14 like 911 trunks and some 800 number services with the  
15 cooperation of our partners, but we're still  
16 experiencing a few of those kinds of things as they  
17 come to light for us.

18 Fuel was not available in the local areas.  
19 Our resources were secured in Texas and north  
20 Louisiana. We rented tanker trucks to haul the fuel  
21 to the impacted areas, and then the drivers were  
22 concerned about their safety going into the areas  
23 where we needed to have the fuel, and so we had to  
24 arrange for police escorts, thank you Mr. Booth, and  
25 we also hired some security on our own, as many

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 companies did.

2           Because of the widespread power outages,  
3 we deployed scores and scores of small generators.  
4 Now, we had stand-alone generators at our larger  
5 sites, but we had to rely on the smaller generators  
6 for the more rural locations, and we are rural, so  
7 that was a big deal for us, and of course, keeping  
8 those fueled was a problem for a long time afterwards,  
9 and even though they were secured with lock and chain,  
10 over a dozen of them were stolen.

11           So it took down friends and neighbors, but  
12 desperate people do desperate things, and I don't know  
13 what I would do in those circumstances. I just need  
14 to call it out, that the security of a facility is to  
15 help the greater whole needs to have more importance  
16 placed on it by us and by others, we hope.

17           Housing and food were a serious concerns,  
18 and each group was kind of on their own to find  
19 lodging and showers and food for exhausted workers.  
20 In some cases, we did use our generators to power  
21 restaurants and hotels and went to sort of the old  
22 barter system. We'll give you power, you give us a  
23 shower. So it was power for showers, and they also  
24 provided food for us in that arrangement.

25           We resorted to renting some motor homes,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 house six people and feed folks out of those in the  
2 very rural areas.

3 So that's enough about the gators. I'd  
4 like to move on to something a little more  
5 constructive, I hope, and although we all feel that  
6 practice makes perfect, this is the kind of practice  
7 we absolutely do not want to have, so hopefully, we're  
8 well prepared next time, and tell whoever's in charge  
9 that we don't need any more practice.

10 Much of the post-hurricane attention has  
11 been directed at restoring New Orleans, and we  
12 completely support those efforts. We do, though, for  
13 the sake of the task force, want to indicate that  
14 CenturyTel's focus, of course, lies in the more rural  
15 areas, in the risks and the opportunities around those  
16 areas. There are smaller towns and rural homes that  
17 suffered the same devastating losses, except on a  
18 smaller scale, but have received much less attention  
19 and focus.

20 On the opportunity side for all of us, the  
21 importance of and need for dispersed functions and  
22 diversity that rural communities can provide became  
23 hugely apparent. According to the Center to Bridge  
24 the Digital Divide, as high-speed data connections  
25 become increasingly available in rural communities,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 more business owners are recognizing that these  
2 smaller communities can provide potential solutions to  
3 business continuity challenges.

4 Businesses are looking to rural regions to  
5 host backup data storage and the sites to disperse  
6 critical business information support functions for a  
7 variety of reasons, most important of which are cost-  
8 effectiveness, availability of workers, and security.

9 Kathy Brittain White, President and  
10 Founder of Rural Sourcing, Inc., estimates her company  
11 can provide quality information services from rural  
12 areas at a savings of 30 to 50 percent compared to  
13 urban areas.

14 Also, employees with a strong with a  
15 strong work ethic and low turnover rates, which are  
16 characteristic of a rural workforce, can reduce  
17 training and recruitment costs, according to  
18 Washington State University's case studies around  
19 bridging the digital divide.

20 Therefore, ensuring our rural communities  
21 have adequate voice and data services available, even  
22 in times of disaster, may help keep businesses  
23 operating and families intact through the duration of  
24 such disasters.

25 However, we most certainly realize that no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 communications network could be expected to remain  
2 fully operational during a Category 4 or 5 hurricane,  
3 such as we saw.

4 CenturyTel would like to make the  
5 following recommendations for consideration. Recovery  
6 effort assistance. We suggest that each state appoint  
7 a dedicated regional communications liaison to  
8 coordinate recovery efforts and restoration status.  
9 They would work in conjunction with the FCC bureau  
10 proposed by Chairman Martin to better coordinate  
11 planning and response efforts for their state or  
12 region. This liaison would assist with restoration  
13 opportunities, having a holistic and coordinated view  
14 of the entire communications infrastructure within  
15 their state or region, as well as some authority to  
16 facilitate company-to-company emergency cooperation.

17 The advantage would be that rather than  
18 relying on personal relationships or figuring it out  
19 for ourselves, the liaison would be aware of general  
20 capacity and routing opportunities, and would  
21 coordinate the dialogue. That oversight could include  
22 mandatory network access. Available networks should  
23 be made available, ad hoc, to those in need, with a  
24 mechanism for guaranteeing payment precluding having  
25 signed contracts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Also, possibly provide a stipend or a tax  
2 incentive in high-risk areas for carriers to either  
3 carry excess capacity, or for redundancy.

4           During Katrina restoration efforts, we  
5 were in contact with some carriers who actually had  
6 excess capacity, but because of an internally  
7 established cap, the capacity use was refused, and  
8 that furthered what we felt were unnecessary delays.

9           Establishing a priority list for providing  
10 limited restoration-directed fuel resources to public  
11 utilities and emergency services is in our proposal.  
12 The plan should address how the fuel is made  
13 available, including security and location. It should  
14 also address the ability to haul fuel between  
15 locations, to pump, load, unload diesel and gasoline.

16           Shelter and food. Emergency utility  
17 workers face a grueling task, often with no time to  
18 sleep or access to food to sustain them during what  
19 can be long hours, days, and even weeks of hard and  
20 dangerous work. Establishing emergency shelters  
21 within disaster areas, with priority for emergency and  
22 critical relief services, would most certainly have  
23 been helpful in Katrina to many of us who provide  
24 labor in those areas.

25           Security. During Katrina restoration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 efforts, independent groups were forced to hire their  
2 own security for materials, fuel, and so on. We  
3 suggest that the National Guard arrive and immediately  
4 set up pre-arranged safe zones for staging.

5 And infrastructure. Conduct a tandem and  
6 network review to make recommendations for  
7 survivability. The eye should be toward a high-level  
8 infrastructure view versus at a single-company level.

9 Who was it, Sheriff Beary, was it you said "Check  
10 your egos at the door" sort of a thing. You know,  
11 let's look at this from the higher point on the  
12 mountain.

13 And then tax incentives. We ask that the  
14 FCC suggest to Congress that all businesses that  
15 invest in the Gulf Coast regions, including  
16 telecommunications companies, be given some tax relief  
17 to encourage rebuilding and the creation of jobs. The  
18 FCC should show their support for those tax relief  
19 efforts discussed at the Senate Finance Committee's  
20 October, 2005 hearing on tax policy for disasters,  
21 which included double-expensing for investments in new  
22 equipment, bonus depreciation, priority to Gulf Coast  
23 applicants for tax credits, and tax reliefs for the  
24 building of new structures in disaster regions.

25 It's up to us, we on the panel, to keep

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the momentum that Chairman Martin has started, and we  
2 can do that. CenturyTel appreciates the opportunity  
3 to serve on this panel and to bring a rural  
4 perspective to these proceedings. Thank you.

5 CHAIRPERSON VICTORY: Thanks, Marion. Let  
6 me turn next to Kay Sears, Senior Vice President of  
7 Sales and Marketing for G2 Satellite Solutions.

8 MS. SEARS: Thank you. G2 Satellite  
9 Solutions is the government services provider of  
10 PanAmSat, a global satellite operator. As a  
11 representative of the satellite industry, I would like  
12 to thank the FCC and Chairman Martin for taking a  
13 leadership role in finding solutions to improve  
14 disaster preparedness, network reliability, and  
15 communication among first responders.

16 Satellite communications played a critical  
17 role in Hurricane Katrina and it's aftermath. When  
18 the telephone and broadcast networks went down,  
19 satellites remained alive, connecting emergency  
20 personnel and other first responders. Satellites  
21 enabled the world to witness the disaster and also the  
22 many acts of heroism.

23 Although the performance of satellite  
24 systems was impressive, their use was limited by the  
25 lack of preparation. Had satellite systems been more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 effectively integrated into our emergency  
2 communication networks, many of the communication  
3 problems that occurred in Alabama, Louisiana, and  
4 Mississippi would have been substantially mitigated.  
5 As the FCC Chairman Martin recently stated, "If we  
6 learned anything from Hurricane Katrina, it is that we  
7 cannot rely solely on terrestrial communications."

8 The satellite industry and our satellite  
9 network infrastructure were not as affected by  
10 Hurricane Katrina. This is partially because  
11 satellites orbit high above the problems on the  
12 ground. In the hours, days, and weeks following these  
13 disasters, satellite networks provided critical  
14 communications capability to emergency personnel, and  
15 a vital information link for citizens, whether via  
16 satellite radio, satellite television, or via fixed  
17 satellite networks or mobile satellite telephony.

18 One aspect of our satellite communications  
19 network that can be impacted by hurricanes and natural  
20 disaster is the ground equipment, V-SATs and antenna  
21 infrastructure. To this degree, these antennas can be  
22 damaged or blown off point and required readjusting to  
23 reacquire the satellite network.

24 In addition to the degree that power  
25 outages occur with these disasters, like all other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment, satellite equipment requires generators.

2 In large part, however, while the outages  
3 on terrestrial networks surged in the days following  
4 Katrina, satellite networks were handling a  
5 corresponding surge in demand for capacity. Our  
6 satellite voice, video, and data networks performed  
7 exactly as they were designed to perform, providing  
8 reliability and redundant communications solutions in  
9 times of crisis.

10 From transportable ATM machines to high-  
11 speed internet access for families to stay connected,  
12 the organizations using these satellite communications  
13 range from federal, state, and local government  
14 agencies to schools, churches, and local relief  
15 organizations. Small business, such as retail gas  
16 stations and convenience stores, and larger  
17 businesses, such as insurance companies, financial  
18 institutions, and news organizations, all use  
19 satellite capacity.

20 For example, Hughes Network Systems  
21 immediately reestablished Wal-Mart's satellite  
22 communications network, helping Wal-Mart become one of  
23 the life-support systems for local communities during  
24 their recovery.

25 Intelsat reconfigured capacity and donated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 service to help cellular providers such as Cingular  
2 and Nextel Sprint, and long distance carriers MCI and  
3 AT&T, reestablish their networks, as well as provide  
4 capacity for emergency services via mobile vans for  
5 relief agencies and mobile offices and command centers  
6 for the DHS and FEMA.

7 PanAmSat donated satellite capacity to the  
8 Red Cross to provide communications to about 40 of  
9 their sites, and deployed inflatable antennas to the  
10 Red Cross Center in Biloxi, used by evacuees to send  
11 email messages to the family.

12 PanAmSat also supported FEMA's fleet of  
13 first responder trucks and MCI's Big Blue, to provide  
14 VOIP and data connectivity. SES Americom donated  
15 satellite capacity to enable high-speed ship-to-shore  
16 communications for the U.S.S. Iwo Jima, which carried  
17 disaster relief teams to New Orleans with amphibious  
18 construction equipment and medical personnel and  
19 supplies.

20 Both XM Satellite Radio and DirectTV  
21 provided FEMA and the Red Cross with a 24/7 dedicated  
22 broadcast station for disseminating hurricane-related  
23 information. Following the storm, XM launched a new  
24 channel called Red Cross Radio, Channel 248, which  
25 provides information directly to Red Cross workers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 located in the Gulf Coast, as well as Red Cross aid  
2 stations.

3           Despite the tremendous contribution of the  
4 satellite industry to the rescue and recovery efforts  
5 in the gulf region, barriers existed which prevented  
6 the full use of satellite resources. To enable rapid  
7 deployment and/or restoration and truly mobile  
8 communications, federal and state governments should  
9 incorporate satellite services and networks as a  
10 redundancy requirement in any communications network  
11 or architecture, and these resources should be pre-  
12 deployed.

13           These solutions include satellite  
14 telephones, satellite bandwidth, as well as V-SAT  
15 networks, The problem in the aftermath was the  
16 availability of equipment and bandwidth to satisfy  
17 demands. Satellite phones became very difficult to  
18 find, despite 20,000 being shipped in the days after.

19           Hundreds of additional satellite requests went unmet.

20           V-SAT equipment, in the quantities  
21 requested, was also nearly impossible to obtain, let  
22 alone ensure the timely importation or delivery to  
23 isolated areas.

24           Satellite handsets and small modern popup  
25 antennas and satellite phones could have been pre-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 positioned onsite prior to Katrina and available for  
2 immediate deployment in the aftermath. In the hands  
3 of first responders, this technology could have  
4 provided the communications necessary to deploy  
5 safety-of-life services to those who needed it,  
6 without delay.

7 The military's war on terror in Iraq and  
8 Afghanistan operates almost exclusively utilizing  
9 these types of satellite communications services,  
10 because there is no terrestrial network, and there is  
11 no ubiquitous cellular network, either.

12 These products work today. They provide  
13 redundancy today. They work with other communications  
14 today. As such, the panel needs to facilitate a wider  
15 pre-position deployment of these assets today, by  
16 ensuring that satellite capacity and equipment become  
17 part of the comprehensive redundant communications  
18 solution used by first responders during the planning  
19 stages, rather than at the last minute.

20 The satellite industry has four specific  
21 recommendations for the panel to consider. Satellite  
22 should be an essential component of future critical  
23 communication networks. Satellite capacity and  
24 equipment should be pre-positioned and pre-purchased.  
25 Satellite operators and personnel must be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       credentialed as first responders, and satellite  
2       spectrum must be preserved and protected from  
3       interference.

4               We in the satellite industry are  
5       justifiably proud at the crucial part we have played  
6       in disaster recovery efforts by providing vital  
7       communications to relief workers, government agencies,  
8       churches, families, and journalist. However, we have  
9       also been very frustrated by the knowledge that we  
10       could have done much more.

11               On behalf of the industry, I urge the  
12       panel to take steps to ensure that satellite systems  
13       are completely integrated into emergency planning and  
14       preparation, so that the unique benefits our services  
15       offer can be fully exploited the next time there is a  
16       disaster.

17               Thank you, Madame Chairman, for the  
18       opportunity to participate on this panel.

19               CHAIRPERSON VICTORY: Thank you, Kay. Let  
20       me turn next to Ted Sexton, President of the National  
21       Sheriff's Association.

22               MR. SEXTON: Thank you, Madame Chairman.  
23       On everybody's behalf, I'm going to dispense with my  
24       written statement, make a few comments, and move on,  
25       since we're on the final stretch.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           It's an honor to serve on this panel. I  
2 appreciate the opportunity to serve with all of you,  
3 and I thank you for everything that you brought to  
4 this table, especially what you did during Katrina.

5           There's a few comments that I would like  
6 to make, though. There is little doubt about the  
7 importance of what we're doing here, not only is the  
8 nation studying us, but unfortunately, Al-Qaeda and  
9 other organizations studied our response to Hurricane  
10 Katrina, and we need to do a better job. I think  
11 that's something that is rather established here.

12           It has been interesting to me, today, as I  
13 listen to everyone here, about what was done and how  
14 we did it. We're forgetting about the hectic,  
15 chaotic, almost ravenous, ravaged pace that everything  
16 was going. We weren't sitting around in an  
17 environment like we were today, with one of the most  
18 hectic, chaotic, life-threatening environments that I,  
19 myself, have ever been in, and it was a seven-week  
20 experience between Rita and Katrina that I will never  
21 forget.

22           As I listen to how well things came back  
23 and what everybody did, there's some things that I  
24 remember about being in the New Orleans area. My  
25 radio didn't work. My cell phone didn't work, and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were having difficulties. As I listen to some of  
2 these things, I guess I was in bad services areas, or  
3 I was in areas where I didn't jump on the  
4 interoperability system. They were there, but not  
5 everybody had the availability of getting to them, and  
6 then the area that we were assigned to in Grand Isle,  
7 we just put up our, when we got assigned Grand Isle,  
8 we just put up our own radio system and we  
9 communicated that way.

10 I had a conversation via a cell phone with  
11 a Sheriff in Louisiana while I was in Tuscaloosa, and  
12 he was telling me about the situation, the lawlessness  
13 that a Sheriff's deputy had been shot in the head, and  
14 I also had a conversation with a Sheriff in  
15 Mississippi via the SouthernLINC Wireless system, that  
16 told me about the problems that he was having.  
17 Immediately, the National Sheriffs' Association worked  
18 through the existing EMAC system to get some 1,500  
19 Sheriffs' deputies into Mississippi and Louisiana.

20 My home state of Alabama was hit, but  
21 thanks to prior planning and folks like Chief Stephen  
22 Dean, the redundant communication systems that we had  
23 there basically worked. Again, the link system filled  
24 a giant void for us in a private government function.

25 I thank you for all that you all did for us in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 State of Alabama.

2           However, in regards to things that I saw  
3 in Mississippi and Louisiana, I saw some of the worst  
4 in people and I saw some of the best in people, but  
5 generally, the American spirit came through, and we  
6 worked together to work our way through problems.

7           Can we do a better job? I don't think  
8 there's anybody here that says that we can't, and  
9 that's the important thing.

10           We're not bringing to the table a list of  
11 recommendations. I hope those recommendations that we  
12 consider are made at the end, after all of us have the  
13 opportunity to review. The only thing that the  
14 National Sheriffs' Association and Sheriffs I've  
15 talked to in general would like to do is hopefully, we  
16 review some of the existing standards that we have to  
17 see if they truly meet our needs.

18           We've had standards that have been talked  
19 about here, from P25 to what you need to be able to  
20 move one radio station over to another. So hopefully,  
21 these are things that we look at to see how we truly  
22 operate in an emergency or catastrophic situation.

23           And then lastly, Kevin and I are both  
24 elected officials, and there's an awful lot of other  
25 elected officials that have a responsibility for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 quality of life and the personal safety of various  
2 persons, and if we do not come together -- the young  
3 lady from NAACP talked about this coming hurricane  
4 season. We're supposed to have another active  
5 hurricane season. History repeats itself and  
6 unfortunately, it looks like we're going to repeat  
7 ourselves with the hurricane season, but folks have a  
8 tendency at the ballot box to voice their displeasure,  
9 and if we as elected officials don't do a better job,  
10 then I'm afraid that we will see persons vote to show  
11 their displeasure.

12 So there's a number of things on the table  
13 here, and as an elected official trying to do the best  
14 that I can for my community, as well as President of  
15 the National Sheriffs' Association, we're honored to  
16 be here and thank you so very much.

17 CHAIRPERSON VICTORY: Thanks a lot, Ted.  
18 Let me turn next to Chief Edwin Smith, who is the  
19 Chief of the Baton Rouge Fire Department.

20 CHIEF SMITH: Thank you, Madame Chairman,  
21 for the opportunity to serve on this panel. Colonel  
22 Booth gave an excellent presentation on the many  
23 issues that we faced in the state.

24 Focusing on the local issues, during the  
25 initial days of the storm, Baton Rouge communications,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       though taxed, was not overloaded. Our communications  
2       division never lost radio or telephone communications.

3       Due to the fact that the eye of Katrina passed to the  
4       east of Baton Rouge, it brought heavy rains, but not  
5       the anticipated hurricane-force winds. Total  
6       infrastructure was not damaged, and all local  
7       transmissions were handled.

8                 However, early on, it was obvious that the  
9       normal coverage area of the Baton Rouge Fire Department  
10      was going to be expanded by hundreds of miles, and it  
11      was obvious one of the first critical hurdles we would  
12      have to face was the lack of communications with other  
13      agencies and jurisdictions.

14                There were some areas that we were  
15      surprised that we could communicate, and some areas we  
16      were depending on that just did not work. Some of the  
17      communication areas that broke down were (1) cell  
18      phones became unreliable because of damage to towers  
19      and the increase in call volume; (2) landlines were  
20      all but destroyed due to the damage of poles and lines  
21      in the area; (3) radio infrastructure such as repeater  
22      towers in the affected areas were destroyed. This  
23      rendered the local systems inoperable, and the ACU-  
24      1000s that we patch our radios into, their systems  
25      became useless. The common 800-megahertz channels

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ICAL and ITAC were overcome and overwhelmed, as they  
2 were the only way to communicate, via radio, with  
3 other agencies. Satellite telephones that were  
4 acquired were unreliable due to the overwhelming  
5 number of phones brought into the area.

6 A search and rescue team actually had to  
7 borrow a phone from a news outlet to get enforcement  
8 messages out.

9 There were some communications areas that  
10 did seem to deliver some reliability. Emails and text  
11 messages sent to cell phones and Blackberrys. We are  
12 not sure why this worked, but on several occasions, we  
13 passed necessary information into and out of the  
14 affected areas by this means.

15 Direct talk-to-talk channels on our  
16 existing radios. This worked in the immediate areas.

17 Without having to rely on repeaters and radios,  
18 communications realizing this is not effective for  
19 large-scale communications, but is definitely the best  
20 way for our responders to communicate within their  
21 tactical positions.

22 The Governor, through the State Police,  
23 had a working committee on communications prior to the  
24 storm. One of their tasks was to look into creating a  
25 state-wide communications backbone, to allow various

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agencies to use their equipment during emergencies.

2 This system would greatly enhance our  
3 interoperability, as long as there was also a way to  
4 temporarily establish towers in the areas where they  
5 had been destroyed.

6 I am looking forward to working with this  
7 panel in the future. Thank you.

8 CHAIRPERSON VICTORY: Thank you very much.

9 We turn next to Bill Smith, who is the Chief  
10 Technology Officer of BellSouth Corporation.

11 MR. SMITH: Thank you, Nancy. I, too, am  
12 honored to be a part of this panel, and look forward  
13 to working with all the panel members.

14 As many of the other members of this  
15 panel, given the territory that we serve, we seem to  
16 get more than our fair share of experience with  
17 hurricanes, whether it's Andrew or Hugo or Ivan or  
18 many of the other names that you heard today, and we  
19 feel like we've got a lot of experience, and have  
20 practiced those techniques pretty well, but we'll have  
21 to tell you that Hurricane Katrina had us writing new  
22 chapters for our playbook in that regard.

23 We generally start with three phases:  
24 preparation, monitoring, and restoration. And as many  
25 of you have mentioned, we actually started tracking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this storm when it was Tropical Depression 12, located  
2 over the Bahamas. We actually started staging  
3 material, we managed the landfall in Florida, we moved  
4 material again to the gulf region.

5 We had what we call BellSouth tent cities  
6 that we learned to house our employees, particularly  
7 our employees and their families, when they've lost  
8 their homes. We had about 1,000 generators that we  
9 were moving, 25 tankers of fuel. At the height of the  
10 process, we were serving over 8,000 meals a day to our  
11 employees, and we were, as many of you have mentioned,  
12 we were having fuel convoys coming and out of downtown  
13 New Orleans. In fact, we were inviting several other  
14 members of the industry to join into our armed fuel  
15 convoys. We had private security at the front and at  
16 the rear of those convoys, and many other carriers  
17 took us up on that.

18 However, I said earlier that Hurricane  
19 Katrina was unlike any that we'd ever seen, and I  
20 think it varied in significant ways. The Florida  
21 hurricane was very familiar to us and what we had seen  
22 in the past.

23 The gulf region outside of New Orleans  
24 proper was devastating, and the storm surge that we  
25 had seen there that was measured anywhere from 35 to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 40 feet was certainly unprecedented, but the water  
2 receded and we started working immediately to restore  
3 there, albeit with massive damage.

4           What was unique to us, I think, was what  
5 we saw in New Orleans proper, in the fact that the  
6 waters didn't recede, and I will tell you, it's a very  
7 frustrating thing to sit and watch a generator that  
8 may have 4,000 or 5,000 gallons of fuel, watch that  
9 generator run out of fuel and not be able to get  
10 access into it because there's six or eight feet of  
11 water all around. And unfortunately, the size of some  
12 of these facilities required thousands of gallons of  
13 fuel. In some cases, we have as many as 25,000  
14 gallons of fuel on site, so it's not a small  
15 operation.

16           But we started working with prioritization  
17 to make sure that we focused first on emergency  
18 response, E911, hospitals, and then immediately going  
19 to priority circuits. We worked very closely with the  
20 wireless industry, and I think this was the first time  
21 this had ever been done, but we actually, in  
22 preparation for the storm, invited many of the  
23 wireless carriers in the area to come in to our  
24 emergency control center in Atlanta and help us,  
25 because obviously, when you've got a cell tower that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 may have four or five companies on it versus a tower  
2 with only one company, in the interest of the industry  
3 and the interest of the public, it's better to get the  
4 most coverage back the quickest.

5 So that worked very well, and we had  
6 several members of the industry in our emergency  
7 control center. We actually had two calls, daily, one  
8 with inter-exchange carriers and one with the wireless  
9 carriers, and that seemed to work very well for us.

10 But I think it's important that we  
11 remember in this emerging dynamic day of  
12 telecommunications, where we have email and IM and  
13 text-paging and VOIP and all these other things, we  
14 need to remember that basically, most of those do  
15 still, in fact, run on network infrastructure of some  
16 sort, and those are pretty expensive to take care of.

17 In fact, we now believe that the cost of  
18 our restoration of our network will be between  
19 \$700,000,000 and \$900,000,000 as a result of Katrina.

20 Now let me put that in perspective. Before,  
21 hurricanes that we went through in the 2004 hurricane  
22 season, cost a grand total of about \$200,000,000. So  
23 this one hurricane will be at least four times as  
24 costly to restore as those hurricanes were, combined.

25 So let me just focus on some of the things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we think are lessons learned to go forward, and  
2 I'll be extremely brief, because many of these have  
3 already been touched on.

4 First of all is reliance on commercial  
5 power. We found even new areas, people that were  
6 accustomed to using their cars to charge their cell  
7 phone battery, couldn't do that this time if their car  
8 was under five feet of water, so commercial power is  
9 still a primary concern for us, even with all the  
10 generators deploy, then getting access into those for  
11 fuel.

12 Secondly, we think looking at mulplie  
13 scenarios for E911 center, failover for the PSAPs, is  
14 helpful because as we saw in this particular case,  
15 even though backup plans were in place to fail over to  
16 adjacent facilities, the damage was so widespread that  
17 those plans didn't help, and it reminded me of the  
18 learnings of the financial industry after  
19 September 11, where they wound up deciding that they  
20 needed to have backup data centers on the order of 200  
21 miles from one another, because they learned that  
22 backup data centers that were too close to one another  
23 geographically were affected by the same event.

24 Third, we've already -- many of you have  
25 mentioned the common radio frequency and radio

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment, and I won't go into that in any more  
2 detail, but we support that.

3 Fourth, we learned that raising our  
4 equipment above flood-prone areas helped a lot. As a  
5 result of lessons that many of my predecessors learned  
6 from Hurricane Betsy in New Orleans many, many years  
7 ago, most of our equipment was on the second floor or  
8 higher in the buildings. That saved the equipment  
9 from being destroyed by flooding. It didn't help us  
10 get fuel into it, but it still made the recovery  
11 period much, much quicker.

12 Unfortunately, many of the coastal areas,  
13 like Lake Catherine, for example, there's nothing left  
14 of that building but the pilings that the building was  
15 built on. We had thought we had done everything we  
16 could do, including building those buildings up on  
17 pilings and taking steps to harden them, but even that  
18 was not sufficient for this storm.

19 Fifth, we've talked about first responder  
20 designation. We had situations where even our  
21 technicians were pulled off of splicing restoration  
22 because of curfews and things of that nature, so I  
23 think there's a lot we can do there. That, obviously,  
24 may involve things like Stafford Act amendments and so  
25 forth, but we think they're very critical.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Next, I'd like to say the supply chain of  
2 our industry, I think, was taxed. While I can't say  
3 that we had restoration completely delayed, I think we  
4 came very close, and this goes from everything from  
5 high-tech equipment such as fiber optic systems, etc,  
6 to things as basic as utility poles.

7           Most estimates say that we lose about  
8 120,000 utility poles in this country a year, and by  
9 our estimate, about 100,000 were damaged by the 2005  
10 hurricane season, so that one series of events  
11 basically used as many utility poles as the entire  
12 season typically takes.

13           Seventh, we established a hazardous  
14 materials team a couple of years ago, and that was  
15 very effective for us going in and recovering some of  
16 our buildings, so we think that that worked well and  
17 would encourage that going forward.

18           Eighth, I think the FCC Network  
19 Reliability and Interoperability Council, NRIC, which  
20 the NRIC 7 has closed. NRIC 8 has not yet been  
21 chartered, but one of the recommendations I would  
22 have, much like another one that was recently made, is  
23 that we go back and look at those best practices,  
24 because all of us, I think, learned new things to do  
25 from this event, and I think we could go back and look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at our best practices, particularly in things like  
2 facility protection, because as my colleague from Cox  
3 mentioned, getting through the event is one thing, but  
4 as quickly as we could get some of these fiber optic  
5 systems restored, someone would damage them,  
6 inadvertently, but damage them nevertheless.

7 Finally, we think that this was really  
8 unprecedented industry cooperation, and we'd like to  
9 see that model go forward as we decide how we can  
10 improve in the future. Thank you.

11 CHAIRPERSON VICTORY: Thanks very much,  
12 Bill. And last but not least, Patrick Yoes, who is a  
13 Captain with the Special Services Division and the  
14 Commander of Public Information and President of the  
15 Louisiana Fraternal Order of Police.

16 CAPTAIN YOES: I'm the only everybody's  
17 been waiting for to speak.

18 CHAIRPERSON VICTORY: That's right.

19 CAPTAIN YOES: Thank you, Madame Chairman.

20 My name is Patrick Yoes. I am the National Secretary  
21 of the Fraternal Order of Police, and also the  
22 Louisiana State Lodge President and we, too, would  
23 like to commend the FCC Commission and Chairman Martin  
24 for allowing us to be part of this diverse panel, and  
25 really look forward to the opportunity of improving on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our nation's response to major incidents.

2 Representing 322,000 active and retired  
3 law enforcement officers nationwide, the Fraternal  
4 Order of Police has reached out to our members in  
5 Louisiana, Alabama, and Mississippi for their  
6 constructive input on this endeavor. The Louisiana  
7 Sheriffs' Association also provided valuable insight.

8 My comments are not meant to be critical  
9 of any agency or response. Rather, they are offered  
10 as an explanation of varied challenges that should be  
11 addressed before our response system is tested again.

12 These comments come from my own  
13 observations, having responded for assistance  
14 throughout southeast Louisiana, through communications  
15 with my colleagues, with public safety agencies, and  
16 also with agencies who responded to assist in the wake  
17 of Katrina.

18 The days that followed Hurricane Katrina  
19 set the stage for countless nightmares, unbelievable  
20 challenges, and tributes to courage, bravery, and  
21 perseverance. While there were numerous stories of  
22 accounts of bravery in such trying times, Hurricane  
23 Katrina was a vivid reminder of the impact and the  
24 inability of being able to effectively communicate and  
25 coordinate. Hurricane Katrina brought with her

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 challenges that tested every aspect of the emergency  
2 services.

3 A positive overcome and adapt attitude  
4 adopted by first responders should be commended. Many  
5 first responders lost their homes, and most had major  
6 damages. Yet despite their personal crisis and  
7 uncertain future, they remained on the job, rescuing,  
8 providing emergency services, and reestablishing a  
9 sense of order in a ravaged area.

10 Within hours of the storm, vast areas of  
11 the affected region had no regular telephone or  
12 wireless service. Thousands of switches and cell  
13 towers, which formed the regions networks and  
14 telecommunication network, were destroyed,  
15 inaccessible, or left without power.

16 Nextel Direct Connect services did provide  
17 limited communications for a period of time in the  
18 early days, during rescue operations. For the most  
19 part, emergency responders were forced to stay in  
20 touch with each other with any means possible, and for  
21 most agencies, the means of communication for the  
22 first week was through personal courier, and even that  
23 proved impractical with the level of devastation and  
24 flooding that hampered the region.

25 With no communication network, although no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 communication network could be expected to remain  
2 fully operational in such extreme conditions, the  
3 inability to communicate only complicated the early  
4 challenges facing first responders. Even though the  
5 state system lost multiple sites, that remained viable  
6 and provided functionality in the New Orleans area, as  
7 Colonel Booth had mentioned, but was significantly  
8 overwhelmed by the amount of emergency traffic placed  
9 on it.

10 One of the four designated mutual aid  
11 channels was functional and was being shared by the  
12 New Orleans Police Department, Jefferson Parish  
13 Sheriff's Department, Port of New Orleans Harbor  
14 Police, Fire Departments, and EMS. It was difficult  
15 at best, if not impossible, to communicate under those  
16 conditions.

17 Clearly, there was a lack of pre-planning  
18 before Hurricane Katrina made landfall, at all levels.

19 It is apparent that major portion of resources at a  
20 state and national level were focused on a New Orleans  
21 area where the demands were, certainly, tremendous.  
22 However, the demands of New Orleans overshadowed the  
23 need of many affected jurisdictions that were equally  
24 vulnerable.

25 In areas like Plaquemines Parish, south of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the City of New Orleans, it was a National Sheriffs'  
2 Association, or Louisiana Sheriffs' Association, not  
3 FEMA or state agencies, who responded with vital  
4 assistance. Other agencies experienced the same.

5 In the case of Plaquemines, it was very  
6 difficult to call for help when you had no way of  
7 communicating. It's something we seriously need to  
8 look at. There must be a measured response throughout  
9 the entire affected area, within hours, when it's  
10 needed the most.

11 I'd like to offer a couple of  
12 recommendations, and certainly, this is not a complete  
13 list, and I am cutting this down some, and I have a  
14 written report that has more in it. Certainly, we  
15 must find -- public safety network must -- and  
16 facilities must be built and maintained to withstand  
17 worst-case scenarios. Operability is more important  
18 than interoperability.

19 And in this case, the benchmark has been  
20 changed. Katrina has certainly changed that.  
21 Interoperability, as long as it's -- as we have not  
22 addressed it and implemented, the potential for  
23 communication crisis will also plague first  
24 responders.

25 Greater emphasis should be placed on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 assignment of portable communications equipment  
2 available for rapid response in the critical hours  
3 following a major event. I, too, am very pleased to  
4 hear all of the resources that were available after  
5 the storm, but I can tell you my experiences were in  
6 the initial hours. When we needed them the most, it  
7 was very difficult to find any way to communicate.

8           Develop training that is aimed to improve  
9 communications during disasters. It may seem simple,  
10 but it certainly -- there's a lot of value in that.  
11 Some simple features are probably lost in the  
12 translation of a period time. I'm not really using  
13 them, and well worth looking into, and create a  
14 program where technicians working to restore the  
15 communication system can be credentialed so they can  
16 have easier access to areas.

17           In conclusion, while there were many  
18 public safety breakdowns, both in planning and  
19 infrastructure in the gulf coast region, a shining  
20 example of the efficiency and a substantive response  
21 during Hurricane Katrina was the local law  
22 enforcement.

23           Local law enforcement rose to the  
24 challenge without the inherent governmental inertia  
25 that plagues other entities. Certainly, the magnitude

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of Katrina placed greater demands on -- than we have  
2 ever experienced before. However, local first  
3 responders regularly respond decisively and are in a  
4 better position to move forward.

5 In a post-Katrina world, planning,  
6 preparation and response, as it relates to significant  
7 events and disasters, must include a local law  
8 enforcement perspective, and local enforcement must  
9 play a significant role in driving that initiative.

10 The fundamental argument for this point is  
11 that local law enforcement was there during the first  
12 week, dealing with rescues, lawlessness, and supply in  
13 affected areas, and they did so in an almost non-  
14 existent communication environment.

15 Again, I'm honored to participate in this  
16 panel, and we're excited at the opportunity of  
17 improving the communication capability of America's  
18 first responders. It will be the lessons we learn  
19 through Katrina that will make our nation much  
20 stronger.

21 CHAIRPERSON VICTORY: Thanks, Patrick, and  
22 thanks to all of you for your opening statements  
23 today. I know there was a lot to listen to, but I  
24 thought it was important, as we start this endeavor,  
25 that we have an opportunity, up front, to exchange

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 experiences and exchange perspectives, because I think  
2 now all of the panel members kind of know where each  
3 one is coming from, what experiences they've had, and  
4 I think we've also teed up a number of important  
5 issues for further exploration, as the panel gets  
6 going, as the working group gets going, and so I think  
7 that that was a very, very helpful exchange of  
8 information.

9           The remarks here today were brief. I know  
10 many of you have submitted longer written statements  
11 or reports, which will be publicly available on the  
12 website, and which I will make sure Lisa circulates by  
13 email to all of you. I would urge you, particularly,  
14 to take the time to leaf through them and to really  
15 read in detail some of the critical sections,  
16 particularly if they pertain to some of the working  
17 groups you're going to be participating on, because I  
18 would imagine, and I know from having looked at some  
19 of them, that there's a lot of detail in those reports  
20 -- I'm getting some feedback.

21           Also, we've started to receive, already,  
22 some written submissions from interested members of  
23 the public. We are also going to begin to circulate  
24 those to all of the panel members this week. Those  
25 are also going to be made available on the website, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 well.

2 As we circulate those, it may be that Lisa  
3 or I will indicate that there might be a special  
4 relevance to a particular working group and highlight  
5 some written comments for a particular working group,  
6 although as panel members, I would urge you to try to  
7 keep up with all of these and read all of these,  
8 because they will be germane to the recommendations  
9 that we are going to be making in June.

10 Our next meeting is going to be scheduled  
11 for early March. We're currently working with the  
12 Chairman's Office to select the dates and a venue, but  
13 we're targeting the first and second weeks of March  
14 for those. I figure we're looking at a two-day  
15 meeting, where we would be taking -- having the  
16 opportunity for oral testimony from interested  
17 parties, so keep in mind that that's when we're  
18 looking for this.

19 We're also trying to hold this at a venue  
20 outside of Washington, D.C., and we're working with  
21 the Chairman's Office to have that location  
22 identified.

23 I will certainly alert you and will also  
24 put a public notice out as soon as we have that  
25 information. Hopefully, we'll have that fairly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       shortly.

2                       Now in the meantime, the working groups  
3 will need to get going. I announced today the chairs  
4 and the vice-chairs of the working groups, and would  
5 appreciate your feedback, particularly on the working  
6 groups that you want to participate in, knowing of  
7 course we do need to keep these to a small group, but  
8 we want to make sure that there's a diversity of  
9 viewpoint on them.

10                      I've already sent out to you a description  
11 of the working groups, and some of the issues that  
12 they may be focused on, and I urge you to take a look  
13 at that and let me know, particularly if there's a  
14 second group that you might want to participate in.

15                      I'm going to discourage the chairs and the  
16 vice-chairs from taking on a second one, because I  
17 think you're going to have a lot of work managing your  
18 groups, but for those who are participants who have  
19 particular interest in more than one group, I  
20 encourage you to let me know of those interests and  
21 let me know of you time, availability, and energy, and  
22 I would be delighted, because I would like to try to  
23 get all of these working groups up in the neighborhood  
24 of about 12 participants, so that we really do have a  
25 diverse group of viewpoints there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           With respect to the working groups, as  
2 I've already chatted with some of the chairs and the  
3 vice-chairs, I've encouraged them to work with me to  
4 try to call a meeting fairly shortly, perhaps as early  
5 as next week. These will necessarily be by conference  
6 call, because everybody is dispersed, but I would  
7 imagine that the working groups will all try to have  
8 face-to-face meetings, either before or after our next  
9 full committee meeting. Perhaps after might be a good  
10 time, because you'll have an opportunity to digest and  
11 discuss some of the oral testimony that you'll hear,  
12 and it may give you an opportunity to do some issue-  
13 spotting and some focus.

14           But one of the things I would direct the  
15 working groups to do during the month of February is  
16 to process what you heard today, take a look at the  
17 more extensive written submissions from the panel  
18 members, take a look at the written submissions we may  
19 have received so far, and think a little bit about  
20 what are the issues that issues that we need to get  
21 more information on and in particular, if there are  
22 areas not represented on the panel that you would like  
23 to particularly hear from at our next meeting, in  
24 terms of oral testimony.

25           If there's an expert or a type of company

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or a type of service provider or a type of  
2 manufacturer that you want to hear from and get some  
3 additional detail on, let us know that, because we do  
4 have the opportunity for this next meeting to ask  
5 people to come and testify, as well as just sitting  
6 back and waiting for folks to volunteer.

7 So as you're starting to do some issue  
8 spotting and you want more information, think about  
9 who you want that from and let me know, and that's  
10 something that Lisa and I will work on.

11 At this point, we have pretty much run  
12 through our agenda, unless anybody has any questions.

13 Okay, well I think I will let you know  
14 when the next meeting will take place. I'm sure  
15 you'll be hearing from the working group chairs and  
16 vice-chairs. We have a lot of work to do in the next,  
17 actually less than five months, so I appreciate all  
18 the detailed comments today. I appreciate your  
19 attention, and I look forward to working with all of  
20 you as we proceed full speed ahead. Thank you very  
21 much. We're adjourned.

22 (Whereupon, the above-entitled matter was  
23 adjourned at 4:02 p.m.)

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701